

1 New Brunswick Board of Commissioners of Public Utilities

2

3 In the Matter of an application by the NBP Distribution &

4 Customer Service Corporation (DISCO) for changes to its

5 Charges, Rates and Tolls - Revenue Requirement

6

7 Delta Hotel, Saint John, N.B.

8 January 25th 2006

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

26

Henneberry Reporting Service

27

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41

INDEX

Mr. O'Hara - cross - by Ms. Milton - page 3077
- By the Board - page 3172
- redirect - by Mr. Ruby - page 3178
Dr. Mitchell - direct - by Mr. Ruby - page 3183
- cross - by Ms. Milton - page 3211
A-74 - Slide presentation - page 3183

Undertakings

page 3109 - find out when this revision to the joint use
agreement was introduced, what date

1 New Brunswick Board of Commissioners of Public Utilities
2
3 In the Matter of an application by the NBP Distribution &
4 Customer Service Corporation (DISCO) for changes to its
5 Charges, Rates and Tolls - Revenue Requirement
6
7 Delta Hotel, Saint John, N.B.
8 January 25th 2006

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32

CHAIRMAN: David C. Nicholson, Q.C.

COMMISSIONERS: Jacques A. Dumont
Patricia LeBlanc-Bird
H. Brian Tingley
Diane Ferguson Sonier
Ken F. Sollows
Randy Bell
David S. Nelson

BOARD COUNSEL: Peter MacNutt, Q.C.

BOARD STAFF: Doug Goss
John Lawton

BOARD SECRETARY: Lorraine Légère

.....

33 CHAIRMAN: Good morning, ladies and gentlemen. I'm going to
34 call for appearances now. Mr. MacNutt, who do you have
35 with you today?

36 MR. MACNUTT: I have with me today, Mr. Chairman, Doug Goss

37 --

38 CHAIRMAN: I'm sorry, Mr. MacNutt. We can't hear you.

39 MR. MACNUTT: I have with me today, Mr. Chairman, Doug Goss,
40 Senior Adviser and John Lawton, Adviser.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHAIRMAN: Thank you, Mr. MacNutt. I was told not to forget Mr. MacNutt today. So that is the way I'm doing it. And for the applicant?

MR. RUBY: Peter Ruby and Clare Roughneen, counsel. And we are joined by Dr. Bridger Mitchell and Tony O'Hara from Disco.

CHAIRMAN: Thank you, Mr. Ruby. The CME is not here. They are having a press conference in Fredericton. Conservation Council of New Brunswick? Eastern Wind? Enbridge Gas? The Irving Group of companies? Jolly Farmer? Mr. Gillis? Rogers Cable?

MS. MILTON: Leslie Milton, counsel. And I have with me the same group as yesterday, Clinton Lawrence, John Armstrong, Christiane Vaillancourt, Roger Ware and Don Ford.

CHAIRMAN: Thank you, Ms. Milton. Any self-represented individuals here today? Public Intervenor? Sorry, I should have called on the Municipals. Mr Gorman?

MR. GORMAN: Good morning, Mr. Chairman and Commissioners. Raymond Gorman appearing for the Municipal Utilities. This morning I have Richard Burpee, Dana Young, Darren Lamont, Bob Bernard and Dan Dionne with me.

CHAIRMAN: Thanks, Mr. Gorman. Vibrant Communities here today? Want to get on the record? There is a mike right behind you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MERCIER: Same as yesterday. Sylvain Mercier from Hydro Quebec.

CHAIRMAN: And from Hydro Quebec. Okay. And the Public Intervenor?

MS. YOUNG: Just Theresa Young, your honor.

CHAIRMAN: Okay. Thank you, Ms. Young. Before we get going, Mr. Ruby, I have not read the CRTC's decision 99-13. But in that decision how do they handle joint use poles?

MR. RUBY: That is an excellent question, Mr. Chair. I'm not sure though it is one that we can answer quickly. In a nutshell the CRTC set a rate for joint use poles owned by power companies. In this case it was particular Ontario power companies. And it set a rate using a set of costs that were available at the time. They didn't have a data set as is available in New Brunswick. And they used a cost allocation methodology very similar to the one proposed by Rogers in this proceeding. And of course the decision of the CRTC you have referred to, 99-13, is the exact decision that was overturned first by the Federal Court of Appeal and then the Supreme Court of Canada on jurisdictional grounds. I can elaborate on it for quite a long time probably.

2 But I'm not sure if there is any particular area you are
3 interested in.

4 CHAIRMAN: No. In other words they did not handle things as
5 the OEB did wherein they said the tariff item is
6 applicable to all attachments except for joint use poles,
7 as I understand it.

8 MR. RUBY: I'm sorry. I'm not sure I understand the
9 question, Mr. Chair?

10 CHAIRMAN: Well, my recollection of the OEB decision was
11 that they set a rate but that it was not applicable to a
12 customer who was in a joint use or attachment with an
13 electric company or a telephone company.

14 MS. MILTON: Maybe I can help you. You are correct on that,
15 as between the telephone company and the power company it
16 would be the negotiated joint use arrangement.

17 And that is what we are expecting here as well as between
18 Aliant and Disco. It would be their negotiated
19 arrangement. What the OEB did set was then a rate for
20 third party tenant attachers.

21 CHAIRMAN: Do you know -- the CRTC, that decision was
22 appealed to the Federal Court and on to the Federal Court
23 of Appeal I think. Anyhow -- and it was overturned on the
24 basis that power companies were provincial jurisdiction.

25 But as to the rate, the rate stood?

1

- 3075 -

2

MS. MILTON: Well, the rate can have no application.

3

Because the CRTC had no jurisdiction to order it. But the

4

court -- neither the Federal Court of Appeal nor the

5

Supreme Court of Canada considered in any way the

6

methodology used by the CRTC to establish the rate.

7

CHAIRMAN: Okay.

8

MR. RUBY: That is quite correct. And I had the pleasure of

9

representing the power utilities in that case, from the

10

CRTC up through the Supreme Court of Canada. And the rate

11

was overturned as a consequence of the CRTC not having

12

jurisdiction.

13

The courts were never -- it never ended up turning their

14

minds one way or the other to the rates. Because they

15

found the CRTC didn't have jurisdiction to address the

16

issue in the first place.

17

CHAIRMAN: Okay. Thank you. Now I believe your witnesses

18

can go on the stand.

19

Mr. Sollows just points out on the -- why it's there I

20

don't know -- but on the panels and their possible days,

21

et cetera it has Confidential stamped on the top of it.

22

Is someone paranoid? On the top of the witness panel

23

sheet it says Confidential.

24

MS. MILTON: Is that the one that was circulated yesterday

25

by --

2 CHAIRMAN: Yes.

3 MS. MILTON: -- Mr. Hashey?

4 MR. SOLLOWS: It is not on pink paper.

5 CHAIRMAN: It is not on pink paper though.

6 MR. HASHEY: No. There was no reason for that to remain.

7 CHAIRMAN: No.

8 MR. HASHEY: That was there for the discussion purposes.

9 But as a result of the agreement it was settled. It was
10 circulated thoroughly.

11 CHAIRMAN: Good. Thank you, Mr. Hashey.

12 MS. MILTON: Mr. Chairman, while we are waiting for the

13 witness to take his seat, I just wonder if I can get a

14 sense from you when you would be looking to take the

15 morning break, just in terms of timing? I will try to --

16 CHAIRMAN: It depends on how counsel behaves.

17 MS. MILTON: I'm trying to be on my best behavior.

18 CHAIRMAN: No, normally I would look to taking a break

19 between 10:30 and quarter to 11:00, somewhere in that

20 vicinity.

21 MS. MILTON: Okay. I will try to monitor my time. Now

22 please interrupt if I get overly enthusiastic.

23 CHAIRMAN: Don't worry. I will remind you, madam.

24 MS. MILTON: Thank you.

25 CHAIRMAN: Okay. Would you like to call your witness back?

2 MR. RUBY: Thank you, Mr. Chair. Mr. O'Hara has already
3 come to the stand. And has been sworn yesterday.

4 CHAIRMAN: Go ahead, Ms. Milton.

5 MS. MILTON: Good morning, Mr. O'Hara.

6 MR. O'HARA: Good morning.

7 Q.348 - I wonder if we could just go back to a couple of
8 things that we discussed yesterday.

9 And to begin could we go back to appendix K in RCC-1. And
10 if we could go to page I-26 which shows the formula that
11 we discussed yesterday.

12 A. I need a copy of that.

13 MR. O'HARA: Good morning.

14 Q.349 - I wonder if we could just go back to a couple of
15 things that we discussed yesterday. And to begin, could
16 we go back to Appendix K in RCC-1? And if we could go to
17 page I-26 which shows the formula that we discussed
18 yesterday.

19 A. I need a copy of that.

20 Q.350 - Have you got it?

21 A. Yes, I do.

22 Q.351 - I think you indicated yesterday that you considered
23 that there was a typo in the formula specified at the top
24 of page I-26, is that correct?

25 A. Yes, that's correct.

2 Q.352 - Now is this the version of the joint use agreement
3 that was signed by NB Power and NBTel?

4 A. Yes, it is. And subsequent to its signing a new page was
5 issued for this -- to replace this one.

6 Q.353 - So it's your understanding that that page was
7 corrected in a subsequent version?

8 A. Yes, that's correct.

9 Q.354 - Is that corrected version contained in your joint use
10 manual?

11 A. Yes, it is. I have a copy of the joint use manual right
12 here with the correct page in it.

13 Q.355 - All right. It wasn't in the copy provided by Rogers.

14 We weren't actually provided with a copy when it was
15 filed with the Board. We will check that later.

16 CHAIRMAN: Well the copy that we have here does not reflect
17 the changes that the witness testified to yesterday.

18 MS. MILTON: All right. So your copy presumably is similar
19 to mine.

20 Q.356 - Are you aware that if we add up the \$8.33 -- we are
21 looking at the total at the bottom of that list of items,
22 and if you add up the \$8.33 plus the \$4.48, and then if we
23 subtract the \$3.21 for strand allowance, we get an amount
24 of \$9.60? Are you aware of that, Mr. O'Hara?

25 A. I have never bothered to do that calculation because

2 these numbers aren't relevant. They are incorrect.

3 Q.357 - So you haven't done that calculation?

4 A. The numbers that are incorrect on this page are irrelevant
5 and the joint use manual that we are currently operating
6 with has that information updated. I believe what has
7 occurred is simply issued the original manual and in doing
8 so there was -- we missed issuing the addendum that
9 corrected this page with it.

10 Q.358 - All right. Would you be surprised to hear that if I
11 add up the \$2.60 which is the capital recovery amount for
12 telephone, plus the \$3.53 which is the capital recovery
13 amount for power, I get an amount of \$6.22, and that \$2.67
14 which is the telco amount, would be 43 percent of \$6.22,
15 and the \$3.53 would be 57 percent of that capital recovery
16 amount? Would you be surprised to hear that? I assume
17 you haven't done that calculation. Have you done the
18 calculation?

19 A. No, I have never bothered to do that calculation.

20 Q.359 - Would you agree with me that this formula was a fairly
21 significant aspect of this agreement?

22 A. Actually this formula is a very small aspect of the
23 overall joint use agreement.

24 Q.360 - But this subagreement was just a subagreement with
25 respect to third party attachments, is that correct?

2 A. Pardon me? What was the question?

3 Q.361 - Maybe we could go to the first page of this appendix
4 or -- well that's our title page. Perhaps we could go to
5 second page which is the first page of this subagreement.
6 It's page I-24.

7 A. Yes.

8 Q.362 - Would you agree with me the title is Joint
9 Subagreement Support Structure Third Party Attachments?

10 A. Yes, that's correct.

11 Q.363 - Thank you. Now you also indicated yesterday I believe
12 that the average span length on Disco poles is 60 meters,
13 is that correct?

14 A. If you look at all poles across the province the average
15 span length is in the order of 60 meters, that's correct.

16 Q.364 - All right. I wonder -- staying in the same binder,
17 RCC-1, I wonder if we could go to Appendix F. And there
18 are some page numbers in the upper right-hand corner if
19 you put these right side up. If we could go to page 4.
20 Now this is a copy of the presentation that you provided
21 to Disco in July 2004, is that correct?

22 A. Yes, that's correct.

23 Q.365 - And you show on this page that the NB Power system
24 comprises 20,000 kilometres of line, would you agree?

2 A. Yes, that's correct as well.

3 Q.366 - And you have also indicated that there are 505,000
4 joint use poles, is that correct?

5 A. Yes, that's correct.

6 Q.367 - Would you be surprised that if you divide 20,000
7 kilometres by 505,000 joint use poles you get an average
8 span length of slightly under 40 meters?

9 A. That wouldn't surprise me at all, but that calculation
10 wouldn't be reflective of what is actually in the ground
11 either.

12 Q.368 - Why is that, sir?

13 A. The 505,000 is just joint use poles. It doesn't include
14 the other nine joint use poles. And in order to do that
15 appropriately you would have to include all poles. The
16 other component of this is the 505,000 also includes poles
17 such as service poles and whatnot which can't be taken
18 into account when you are trying to determine what the
19 average span length is of main line facilities. So they
20 would have to be removed. So it's not -- you can't
21 determine it from that data right there.

22 Q.369 - We are talking about joint use poles, are we not, in
23 this proceeding?

24 A. Yes, we are.

25 Q.370 - And we are also --

2 A. Which includes service poles.

3 Q.371 - And we are also talking about service poles, correct?

4 A. That's correct.

5 Q.372 - All right.

6 A. The 505,000 includes service poles.

7 Q.373 - All right. Now I believe where we left off yesterday
8 is that you had confirmed for me that it is your evidence
9 that ownership of poles is a financial burden, is that
10 correct?

11 A. Yes. There are significant costs associated with
12 ownership of poles.

13 Q.374 - And one of the factors that you identify in your
14 evidence as a burden is the risk of stranded assets, is
15 that correct?

16 A. That is one component, that's true.

17 Q.375 - And in this regard you indicate that this occurs when
18 a pole is built to accommodate communications users, but
19 communications users do not in fact use the space for the
20 full life of the pole, is that correct?

21 A. Yes, that's correct.

22 Q.376 - Now would you agree with me that all joint use poles
23 are built to accommodate Aliant?

24 A. Yes, as they are all built to accommodate third party
25 attachers such as Rogers.

2 Q.377 - All right. And Disco is compensated for its
3 investment in communication space by getting access to
4 Aliant poles, is that correct?

5 A. Yes. Through the joint use agreement there is -- the
6 attachment to each others' poles is paid for in kind as
7 you had indicated yesterday.

8 Q.378 - All right. Would you agree with me that a separation
9 space is required as soon as you have Aliant on a joint
10 use pole?

11 A. Yes. Separation space is a common factor associated with
12 people agreeing to build to joint use standards.

13 Q.379 - And the separation space is established by the CSA
14 standards, is that correct?

15 A. Yes, that's correct.

16 Q.380 - With some judgment applied by the pole owner?

17 A. No, the minimum standard --

18 Q.381 - The minimum standard --

19 A. -- requirements is for separation space is definitely
20 established by the CSA, both at the pole and at mid-span.

21 Q.382 - But there would be some judgment that would need to be
22 applied to determine how much sag you would be getting on
23 your lines to determine what separation space you need on
24 the pole to get the correct separation space mid-span,
25 would that be correct?

1
2 A. No. That's not a judgment factor, that's an engineering
3 issue. The manufacturers of the wire and conductor that
4 we put in the air provide information as to what tension
5 that is to be installed at and provide precise information
6 as to what sag that would result in as well as what the
7 implications of conditions such as ice load and wind load
8 and thermal loading on those conductors. So the amount of
9 sag under fully loaded conditions is a fairly precise
10 calculation.

11 Q.383 - Would you agree with me that the amount of separation
12 space does not vary with the number of communications
13 users on the pole?

14 A. Yes, that's correct. The separation space is a function
15 of separation between the communication space and power
16 facilities in order to accommodate the communication
17 workers to be able to safely work on their facilities.

18 Q.384 - All right. I wonder if we could go to a response to
19 interrogatory in exhibit A-68, and it's Disco Rogers IR-4.
20 If we could go to the second element of your response
21 there. You say that all Disco's joint use poles have been
22 constructed to include two feet of communication space.
23 Is that correct?

24 A. Yes, that is correct.

25 Q.385 - And you continue, no thought has ever been given to

2 constructing joint use poles with a communications space of
3 less than two feet. Is that correct?

4 A. Yes, that is correct because they are all built in order
5 to accommodate not just Aliant, but other third party
6 attachers who would want to attach to that pole.

7 Q.386 - All right. I would like to go to the joint use manual
8 now. We have prepared some excerpts of the pages that we
9 will be referring to since the panel members did not have
10 a copy of the joint use manual. So I just ask to have
11 those circulated now.

12 CHAIRMAN: It's my understanding that the joint use manual
13 itself has been filed with the Board, but just the one
14 copy.

15 MS. MILTON: That is my understanding as well, Mr. Chairman.

16 CHAIRMAN: All right. And that has -- does it form part of
17 an exhibit at present?

18 MS. MILTON: Yes, I verified that yesterday morning.

19 Apparently it was included in a revised version of exhibit
20 A-68, which was Disco's response to interrogatories.

21 CHAIRMAN: Okay. That's good enough. So these are excerpts
22 from A-68?

23 MS. MILTON: Yes.

24 CHAIRMAN: Good. Thank you.

25 Q.387 - Now I wonder if we could go to page 212. These are

2 excerpts but they hopefully are in order. Three pages in, I
3 think, to page 212. As I understand this, Mr. O'Hara,
4 this is a diagram indicating how you would determine the
5 height of a joint use pole. Is that correct?

6 A. Yes. That is used in the preliminary stages to determine
7 what the approximate average height of poles will be for
8 over the distance of a new job, yes.

9 Q.388 - All right. And if we look down the diagram on page
10 212, we have an area marked NBTel. And an area marked
11 NBTel sag. Is that correct?

12 A. Yes, that's correct.

13 Q.389 - And then if we slip over to the next page of this
14 document, we have page 213. And it is entitled
15 "Guidelines for Completing the Form". And if we go down
16 to number 3, it is titled "NBTel Space". And it reads
17 "depends on type of construction to be supplied by NBTel."
18 And then number 4 is NBTel sag. And it says "depends on
19 span length and weight of cable to be supplied by NBTel."
20 Is that correct?

21 A. Yes, that is what is stated in that guideline.

22 Q.390 - Would you agree with me that there is no reference to
23 any third party other than NBTel in this diagram in the
24 guidelines for completing the form?

25 A. No, not on the form or in the guidelines. But

2 Aliant -- or NBTel at the time agreed that all communication
3 space would be 2 feet on all poles.

4 Q.391 - And in fact if we go down to the note on that page,
5 and we look at the last line of that note, it says

6 "Consider only the known present and future NB Power and
7 NBTel requirements when completing this form." Is that
8 correct?

9 A. I'm sorry. I do not see where you are reading that.

10 Q.392 - There is a note at the bottom of the page. Do you see
11 that, Mr. O'Hara?

12 A. Yes, sorry.

13 Q.393 - And in the second sentence of that note, it begins
14 consider. And it says "Consider only the known present
15 and future NB Power and NBTel requirements when completing
16 this form." Is that correct?

17 A. Yes, that is correct. And in the context of where NBTel
18 is used on here, it is in reference to the communication
19 space on the whole.

20 Q.394 - When was the last time the joint use manual was
21 revised, Mr. O'Hara?

22 A. The last full revision would have been 1996.

23 Q.395 - All right. Now would you agree with me that if
24 additional capital expenditures are required to
25 accommodate a third party tenant like Rogers on one of

2 your poles, then Rogers must pay all of the costs up front as
3 a non-recurring charge? Is that correct?

4 A. Would you be referring to the make ready costs?

5 Q.396 - Yes, I am.

6 A. Yes, that is standard practice with all agreements,
7 including the agreement that Rogers would currently have
8 with Aliant and as outlined in CRTC's 2000-13 as far as
9 their terms and conditions, that if a third party is
10 required to attach to a pole, and there is a requirement
11 for that pole to be upgraded, in order to facilitate that,
12 then the third party requesting for that work to be done
13 would in fact pay for that work.

14 I would like to note, however, that in the province of New
15 Brunswick, as a result of Disco and NBTel, now Aliant,
16 constructing all poles to joint use standards, including 2
17 feet of communication space, that the make ready costs
18 associated with pole replacements is negligible.

19 Q.397 - But any additional costs, capital costs that is
20 required in order to make the pole suitable for Rogers
21 must be paid by Rogers in the form of a make-ready fee.
22 Is that correct?

23 A. That is the standard practice. In the province of New
24 Brunswick that cost being passed over to Disco is less
25 than \$10,000 a year.

2 Q.398 - In 1967, who was on Disco poles other than Aliant?

3 A. Aliant wasn't on Disco poles in 1967.

4 Q.399 - In 1968, following the completion of your joint use
5 agreement, who was on your joint use poles?

6 A. NBTel and any third parties that would have been in the
7 province at the time.

8 Q.400 - Can you identify any such third parties?

9 A. No, I cannot.

10 Q.401 - Was there a cable company on your poles?

11 A. Pardon me?

12 Q.402 - Do you know if there were cable companies using any of
13 your poles at that time?

14 A. I'm not certain of that. No, I do know that cable was
15 within Canada in the 1950s and was beginning to progress
16 throughout. I'm not sure if cable was in New Brunswick in
17 1967 or not. But we certainly were aware that it was
18 something that was in the country and was heading our way.

19 Q.403 - Was there any indication at that time whether or not
20 cable would succeed?

21 A. I have no opinion on that.

22 Q.404 - All right. Thank you. Now I wonder if we could turn
23 for a moment to the issue of pole costs. And perhaps it
24 would be easiest -- well no, I am going to try to limit
25 how much I turn up documents. Can you confirm for me that

1
2 the pole cost data that Disco has filed in this proceeding for
3 the purposes of establishing a pole rental rate includes
4 the capitalized costs of easements?

5 A. You are referring to Appendix C in our --

6 Q.405 - Let's go to Appendix Q of exhibit A-68.

7 CHAIRMAN: You had better read that to us, Ms. Milton. I
8 can't read it.

9 Q.406 - If we go over to column K, Mr. O'Hara, it says capital
10 easement. It's my understanding that would be the
11 capitalized cost to Disco of obtaining easements, is that
12 correct?

13 A. Yes, that's correct.

14 Q.407 - And that L is entitled capital clearing and it's my
15 understanding that would be the capitalized cost
16 associated with clearing an area in order to install the
17 pole, is that correct?

18 A. Yes, that's correct.

19 Q.408 - Now would your engineering design costs be included in
20 your capitalized cost of your poles?

21 A. The resources doing the field design work, yes, charge to
22 the capital projects to replace poles.

23 Q.409 - Thank you. And would you agree with me that both
24 Rogers and Disco are proposing that Disco's annual
25 maintenance costs be included in the calculation of the

2 annual pole rental rate? Subject to discussion of what the
3 number is would you agree with me that the concept both
4 parties are agreed that we should look at annual
5 maintenance costs?

6 A. I'm sorry. Could you repeat the question?

7 Q.410 - Would you agree with me that both Rogers and Disco
8 have proposed that the pole rental rate should consider
9 the annual maintenance cost to Disco of poles?

10 A. Yes, that's correct.

11 Q.411 - Thank you. Now I believe you suggest in your evidence
12 that there are advantages to being a tenant, is that
13 correct?

14 A. Yes, there are in fact advantages to being a tenant.

15 Q.412 - And I think one of the points you make is that Rogers
16 makes virtually no capital investment in poles, is that
17 correct?

18 A. The capital investment in poles that Rogers would make in
19 this province is very minimal.

20 Q.413 - All right. But I think you have just agreed with me
21 that the capitalized pole costs are all included in your
22 pole cost data which we are all using for the purposes of
23 establishing a rate, is that correct, Mr. O'Hara?

24 A. Yes. Obviously the capitalized costs of setting poles is
25 included in our financial information.

2 Q.414 - All right. And would you agree with me that both
3 Rogers and Disco are proposing in this proceeding that the
4 pole rental rate include a contribution to those capital
5 costs?

6 A. Yes, the pole rental rate does include a contribution
7 towards those capital costs.

8 Q.415 - All right. So to the extent that that is included in
9 the pole rental rate would you agree with me that Rogers
10 is contributing to the capital costs of Disco's poles?

11 A. Rogers would be contributing such an insignificant amount
12 to the capital cost of Disco's poles that it is
13 negligible.

14 Q.416 - Do you consider 30 percent to be negligible?

15 A. No, I do not.

16 Q.417 - All right. Now I think you also make the point that
17 Rogers only has to attach where there is demand for Rogers
18 services while Disco has an obligation to serve, is that
19 correct?

20 A. Yes. Disco has an obligation to serve throughout the
21 province wherever anybody requests service, whereas Rogers
22 does not have that similar obligation. Rogers will
23 provide service where a business case makes sense for them
24 to do it.

25 Q.418 - And I think you agreed with me yesterday that Rogers

1
2 has nothing to do with your obligation to serve, is that
3 correct?

4 A. Yes. No, Rogers has nothing to do with our mandate to
5 serve.

6 Q.419 - So Disco would have to incur the costs associated with
7 its obligation to serve regardless of whether or not
8 Rogers is present on its poles?

9 A. The fact that Rogers is on those poles does increase the
10 cost of serving those customers however.

11 Q.420 - Well we are going to get to that. We will get to the
12 cost data. But you would have to spend money on poles
13 regardless of whether or not Rogers is here?

14 A. They would have to spend some amount on poles whether
15 Rogers was here or not, that's correct.

16 Q.421 - And in fact when Rogers pays a contribution to your
17 capital cost it reduces your costs of meeting your
18 obligation to serve, would that be correct?

19 A. If Rogers was making a contribution to our capital costs
20 it doesn't necessarily reduce the cost to serve our
21 customers, no.

22 Q.422 - Well I believe you said yesterday that if the rate
23 that Disco was proposing will result in an additional \$2
24 million in revenue to Disco and that those revenues are
25 being considered for the purposes of establishing

2 electricity rates in this proceeding, is that correct, Mr.

3 O'Hara?

4 A. Yes, that's correct.

5 Q.423 - All right. I wonder -- we have made copies of some
6 earlier evidence that was filed in Appendix A-3, I
7 believe, because I'm not sure that the Board would have
8 that binder in front of it today. So we have made copies
9 of a very short excerpt of that evidence. Does the Board
10 have exhibit A-3 today?

11 CHAIRMAN: No. They are with the other 27 back in the
12 office.

13 MS. MILTON: All right. So we will just circulate this
14 excerpt if we could. This is as I said is from exhibit A-
15 3. It was the direct evidence of Lori Clark at tab 5 of
16 that exhibit. And if I could take you to the second page
17 of page 11 of the two pages that we have copied.
18 And on line 7 -- or on line 6 Ms. Clark identifies
19 increased revenue as a result of business excellence
20 initiatives for a total of 1.7. And then on line 7 she
21 identifies a pole attachment fee increase of 1 million.
22 Do you see that, Mr. O'Hara?

23 A. Yes.

24 Q.424 - Now can you reconcile for me the 2 million that you
25 indicated was the number yesterday with this 1 million

2 that's in the evidence of Ms. Clark?

3 A. The 1 million was a year over year increase of attachment
4 fees as a result of going through the escalation process
5 that we had initially introduced to Rogers beginning at
6 the fee of 18.91, escalating it to 23.50 and then to our
7 28.05 in April of this year.

8 And the 1 million simply represents the difference between
9 one year over the next. And this would represent the
10 difference between I believe the 03/04 and the 04/05
11 numbers or it's the difference between the 04/05 and the
12 05/06 budget.

13 Q.425 - All right. Thank you. Would you agree with me that
14 if Rogers builds its own poles it would only build poles
15 where it wished to provide service? If it could build
16 those poles it would only build them where it was going to
17 provide service, would you agree with that?

18 A. Yes. I would assume they would build their poles where
19 they were going to provide service.

20 Q.426 - Thank you. Now turning to some of the cost data. I
21 believe it's your position that the pole rental rate
22 should reflect the physical configuration of Disco's poles
23 and Disco's actual costs, is that correct?

24 A. That's correct. And could you take me to which cost data
25 you are referring to?

2 Q.427 - Well we are going to get there. But are you
3 comfortable with that general principle?

4 A. Yes, I am.

5 Q.428 - All right. Now do you still have in front of you
6 Appendix Q that we got out a little while ago? It's
7 Appendix Q to A-68?

8 A. Yes, I do.

9 Q.429 - Does the information in Appendix Q reflect your
10 current investment in poles on your books at this time?

11 A. I believe that there is an issue here with respect to
12 financial records and operational records.

13 Q.430 - What records are these, Mr. O'Hara?

14 A. This is a combination of both.

15 Q.431 - All right. So I understand that you are proposing
16 that the pole rental rate should be based on a sub-set of
17 the cost data that are shown on Appendix Q, is that
18 correct?

19 A. It should be based on a data set comprised of 32 years of
20 information.

21 Q.432 - Now does Disco own and use poles that are older than
22 32 years?

23 A. Excuse me?

24 Q.433 - Does Disco continue to own and use poles that are
25 older than 32 years?

2 A. There is a possibility that some poles could last more
3 than 32 years, yes. Just as --

4 Q.434 - And it has some of those poles?

5 A. -- we know that poles last less than 32 years as well.

6 Q.435 - All right. Now I understand that in the OEB
7 proceeding the CEA filed evidence indicating that Disco
8 has 340,000 joint use poles. Is that consistent with your
9 understanding?

10 A. That was the information that was filed at the time. It
11 was based on the best estimates that we had. Based on
12 information that we had we hadn't yet implemented our GIS
13 system, we hadn't -- begin to have an opportunity to
14 reconcile any of those types of numbers.
15 As a ballpark figure we were working with in the order of
16 600,000 poles in the province. We now know that that was
17 more than what is actually in the province. And the
18 340,000 was simply based on 57 percent of those 600,000.

19 Q.436 - And who would have provided that number to the CEA?
20 Would that have been you?

21 A. Our joint use co-ordinator provided that information.

22 Q.437 - Okay. And if we go to the bottom of column B on your
23 Appendix Q, there is the number 339,241, is that correct?

24 A. Yes, that's correct.

25 Q.438 - And that would represent the total number of poles

2 shown on this table?

3 A. That represents the total number of poles on this table,
4 that's correct.

5 Q.439 - Now I believe you have indicated that poles
6 constructed before 1967 would not be joint use poles, is
7 that correct?

8 A. Yes, that's correct.

9 Q.440 - And if we go up to the very top of column B again in
10 this chart -- and I apologize for taking people through
11 some very small numbers -- but the first three rows of
12 that table would be the data for 1964, '65 and '66, is
13 that correct, Mr. O'Hara?

14 A. Yes, that's correct.

15 Q.441 - And just looking at those numbers the total for those
16 three years would be in the order of 6,500 poles, is that
17 correct?

18 A. Yes, that's correct.

19 Q.442 - So roughly two percent of the total number of poles
20 shown on this diagram -- or sorry, this table?

21 A. Yes. About 6,500 poles, yes.

22 Q.443 - Thank you.

23 A. I would also like to note that all of the poles existing
24 prior to the -- prior to 1974, prior to the 32 years,
25 comprises less than 10 percent of the number at the

1 bottom of the page. And dealing with records that extend over
2 decades it's not -- wouldn't be unusual for this type of
3 information to get a little bit inaccurate by, you know,
4 plus/minus six, seven, eight factor. Particularly given
5 that these poles prior to 1972 being fully depreciated,
6 the financial people keeping the financial records, they
7 are most focused on the financial records themselves.
8 They wouldn't have the kind of emphasis into well, how
9 many poles does that actually reflect?

10 They are more interested in, I have a million dollars
11 worth of value of poles, and not so much interested in,
12 does that represent 100 poles or 1,000 poles. For that --
13 that's what I am referring to, the difference between
14 operational information and financial.

15 The financial information on this page is accurate. The
16 operational information with respect to the quantity of
17 poles I believe is somewhere within a range of
18 reasonableness, but the 339,000 is high. In fact I can
19 correlate that to the study that we conducted in 1993 with
20 respect to the life expectancy of a pole. Within that
21 study they specifically referred to the life expectancy of
22 an untreated pole, which is what we put in the ground
23 prior to 1978.

24 Across the industry and utilizing software and IO
25

2 curves, they determined that the life expectancy of an
3 untreated pole was 26 to 28 years. So these untreated
4 poles that are showing on these books that would have been
5 installed in the 1960's are very unlikely that they are
6 actually in the ground.

7 Q.444 - But you are showing in Appendix Q that you have some
8 of those poles, is that correct?

9 A. The numbers are off a financial management system in this
10 Appendix Q.

11 Q.445 - All right. And you told me that there could be a plus
12 or minus on those amounts, correct?

13 A. I told you that some poles could last more than 32 years
14 and some poles last less than 32 years.

15 Q.446 - All right. So the error could go either way, is that
16 correct?

17 A. Pardon me?

18 Q.447 - The error could go either way, plus or minus?

19 A. Yes. But we do know that based on studies that the
20 typical is 32 years.

21 Q.448 - But you have indicated to me you do you use poles that
22 are more than 32 years, correct?

23 A. Some poles last more than 32 years. Some poles last less
24 than 32 years.

25 Q.449 - All right. I wonder if we could go back to the joint

1
2 use manual, the excerpts that we circulated a few minutes ago.

3 If we could go to the very last page of that excerpt. It
4 is page 4-12.

5 Do you have that, Mr. O'Hara, page 4-12?

6 A. Yes, I do.

7 Q.450 - And the table in the middle of the page is entitled

8 "Prematurely replaced poles and associated age." Do you
9 see that?

10 A. Yes, I do.

11 Q.451 - Would you agree with me that that table contemplates

12 that poles may last as long as 59 years?

13 A. No, it doesn't.

14 Q.452 - And why not, sir?

15 A. This is just a table indicating that zero years would

16 represent zero 4 years up to 55 years would represent 55

17 to 59 years.

18 Q.453 - Why would you have a table in your joint use poles

19 about poles that would never exist? A table in your joint

20 use manual, excuse me, about poles that you don't think

21 would ever exist?

22 A. The only poles that I could think of that could

23 potentially do that would be if we had steel -- a very

24 small quantity poles out there that would potentially last

25 that long.

2 Other than that this is just a descriptive table. It's
3 not indicating that poles do last that long. It certainly
4 doesn't indicate that wood poles last that long.

5 Q.454 - Would your steel poles be included in the cost data
6 that you filed for the purposes of setting a pole rental
7 rate?

8 A. Yes. And they would be less than a tenth of a percent of
9 the poles that we have out there.

10 Q.455 - All right. But those costs are included?

11 A. Yes. That's correct. If they are a joint use pole.

12 Q.456 - All right. I wonder if we could go back to exhibit A-
13 68. Hopefully people still have it open. And to Disco
14 Rogers IR-10.

15 And you are looking at the second element of that
16 response. So I will just give you a moment, Mr. O'Hara,
17 to review your response in part 2 on the second page.

18 Have you had a chance to review it, Mr. O'Hara?

19 A. Yes, I have.

20 Q.457 - Now as I understand it, in this response you are
21 explaining the discrepancies between your pole numbers for
22 2004 as you presented to Rogers in July of 2004 and the
23 numbers that you have presented for the Board to consider
24 in this proceeding, is that correct?

25 A. Yes. That's correct.

2 Q.458 - And as I understand your response, you are saying that
3 300 of the poles that were -- excuse me, 300 of the poles
4 that you installed in 2004 were in fact retired by the
5 time you filed your data in this proceeding, is that
6 correct?

7 A. Yes. That's correct.

8 Q.459 - So you retired about 300 poles when they were less
9 than two years old, is that correct?

10 A. Yes. That's correct. And this is an example of where
11 poles don't last 32 years and can in fact last a very
12 short period of time.

13 And this is related to the factors that I had discussed
14 yesterday with respect to the life of a pole is impacted
15 by a number of things besides just how long the pole will
16 last in the ground.

17 And some of those factors including road shifts or
18 required upgrades, vehicle accidents, storms, being struck
19 by lightning, those types of things.

20 So over a two-year period, 300 of those poles that were
21 installed in 2004 had to be taken off the books as a
22 result of those kinds of issues.

23 Q.460 - And as I understand it, you installed about 6,355
24 poles in 2004, is that correct? That is the number you
25 have in your response.

2 A. We typically install 6,500 to 7,000 poles per year.

3 Q.461 - So what you are telling me is about 5 percent of the
4 poles that you installed in one year were retired when
5 they were only less than two years old, is that correct?

6 A. Yes. That's correct.

7 Q.462 - All right. And when you have to take down a pole and
8 move it because of highway work for example on a
9 Department of Transportation highway, are you reimbursed
10 at all by the Department of Transportation for those costs
11 you incur in that situation?

12 A. Yes. There is agreement with the Department of
13 Transportation where we recover a portion of our costs
14 associated with that but not all costs.

15 Q.463 - Thank you. Now I would like to take you to an
16 Interrogatory Response that was filed by Disco in exhibit
17 A-19.

18 And I believe the Board said yesterday that it didn't have
19 that binder. So we have made copies of the interrogatory
20 response. And we will just circulate that now.

21 Q.464 - Have you had a chance to look at that, Mr. O'Hara?

22 A. Yes, I have.

23 Q.465 - And as I understand it, this is a table of estimated
24 costs that you provided in response to a question by the

1 - 3105 - Mr. O'Hara - Cross -

2 Public Intervenor, is that correct?

3 A. Disco would have provided this response, yes.

4 Q.466 - All right. And what you are showing there is that for
5 a 30-foot class 5 pole the estimated average installed
6 cost would be \$607, is that correct?

7 A. That's what's showing in this table, yes.

8 Q.467 - And then if I go down, for example, to the last line
9 which is a 60-foot class 2 pole, you would have an average
10 estimated installed cost of \$1,751?

11 A. Yes. That's correct.

12 Q.468 - Mr. O'Hara, have you calculated the per foot cost of
13 the different heights of poles based on these data?

14 A. No, I have not.

15 Q.469 - Well, I calculate that the per foot cost of a 30-foot
16 pole is in the order of \$20 and the per foot cost of a 60-
17 foot pole is in the order of \$29.

18 Now if my calculations are correct -- and I appreciate
19 that you are going to want to verify my numbers. But if
20 they are correct, would you agree that the per foot costs
21 of a 60-foot pole is roughly 50 percent higher than the
22 per foot cost of a 30-foot pole?

23 A. Based on the numbers that are presented here, that's
24 correct.

25 Q.470 - All right. Now I wonder if we could go back to

2 exhibit A-68 and Appendix J.

3 Do you have that, Mr. O'Hara?

4 A. Yes, I do.

5 Q.471 - And as I understand it, if we look at your first
6 column, after the definition of the different types of
7 poles, the first column would be the cost of a bare pole
8 without any fixtures on it for a certain type of
9 construction, is that correct?

10 A. Yes. That's correct. It's the cost of a bare pole.
11 There is no construction on it, just for the different
12 pole heights.

13 Q.472 - All right. So just looking at that first column, the
14 cost of a 30-foot pole is \$308.09, is that correct?

15 A. Yes. That's correct.

16 Q.473 - And if we go down to the bottom of the column, the
17 cost of a 50-foot pole would be \$898, is that correct?

18 A. Yes. That's correct.

19 Q.474 - Have you calculated the per foot cost of a pole of
20 different heights based on these numbers, Mr. O'Hara?

21 A. No, I have not.

22 Q.475 - I calculate that the per foot cost of a 30-foot pole
23 is about \$10. And the per foot cost of a 60-foot pole is
24 \$18.

25 Now again, subject to checking my numbers, would you

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

agree that these numbers indicate that the per foot cost of a 60-foot pole is in the order of 80 percent more than the per-foot cost of a 30-foot pole?

A. No, I would not.

Q.476 - Why not?

A. Because a 60-foot pole isn't shown in the appendix of J.

Q.477 - Excuse me. Sorry. Good correction. For a 50-foot pole?

A. If your calculation are correct then yes, that's right.

Q.478 - Thank you.

A. I would like to point out though that there is a big difference between these chart as far as costs go.

Q.479 - Yes.

A. The one that's in IR-12 is an installed cost of these poles that would be captured in our financial system. So it includes things like travel and what not associated with getting to the work site and installing the pole. It would also include any difficulties that may have been encountered with respect to having to do traffic control or difficult weather or possibly time of the year, those kinds of things.

Whereas the numbers that are in Appendix J are a cost

2 associated with if you are standing at the work site what does
3 it cost to actually install that pole? So there is a
4 difference between these two.

5 MS. MILTON: Mr. Chairman, I'm going to be moving to a new
6 area of my cross examination. I'm wondering if you would
7 like to take a break now or if I should proceed.

8 CHAIRMAN: We will take a break now.

9 (Recess - 10:25 a.m. - 10:45 a.m.)

10 CHAIRMAN: Anything preliminary? Go ahead, Ms. Milton.

11 Q.480 - Thank you. Mr. O'Hara, just one more quick question
12 on that revision to the joint use agreement. Can you tell
13 me when that revision was introduced?

14 A. No, I'm sorry, I can't.

15 Q.481 - Could you undertake to find that out and provide that
16 to the Board?

17 MR. RUBY: Pardon me. I'm sorry, I missed that.

18 MS. MILTON: Could you undertake to find out when this
19 revision to the joint use agreement was introduced, what
20 date?

21 MR. RUBY: Maybe you should ask the witness if he has any
22 way of doing that in sort of the time frame of this
23 hearing.

24 MS. MILTON: Well it's your joint use manual, I would have
25 thought that you could find out pretty quickly when this

1 page was changed.

2 CHAIRMAN: Would you give a call to Fredericton and see if
3 there is somebody up there --

4 MR. RUBY: We will certainly do our best to get that
5 information.

6 MS. MILTON: Thank you.

7 Q.482 - I would like to talk a little bit now about space
8 allocation on a joint use pole. Now I understand that
9 starting from the bottom there is buried space, is that
10 correct?
11

12 A. Yes, that's correct.

13 Q.483 - And the buried space varies from five feet to 7.5 feet
14 depending on the height of the pole, is that correct?

15 A. Yes, that's correct. The taller pole needs to be buried
16 in the ground deeper to make it -- ensure that it's
17 secure.

18 Q.484 - All right. And then above the buried space we have
19 what is called the clearance space, correct?

20 A. Yes, that's correct.

21 Q.485 - And for the purposes of clearance we look at the CSA
22 standard for clearance plus an appropriate amount for sag
23 of the cables, is that correct?

24 A. The CSA minimum clearance standards is a standard under
25 fully loaded conditions, so there are a number of

2 factors that need to be taken into account. Sag is one of
3 those factors, yes.

4 Q.486 - All right. And would sag be a function of the weight
5 of the cable?

6 A. Sag is primarily a function of how -- to what tension can
7 you instal that cable.

8 Q.487 - Does weight have any impact?

9 A. Yes, it certainly does.

10 Q.488 - All right. Would a cable company cable weigh the same
11 amount as a telephone company copper wire?

12 A. I don't know what the weight of the various cables are
13 that communication companies use.

14 Q.489 - You don't know. All right. Thank you. Now I wonder
15 if we could go again to those excerpts from the joint use
16 manual. And to page 261. Do you have that, Mr. O'Hara?

17 A. Yes, I do.

18 Q.490 - And if we look at the second table, the one at the
19 bottom of the page, those are the acceptable ground
20 clearances that have been approved by Aliant and Disco for
21 new facilities, is that correct?

22 A. Which table would you be referring to?

23 Q.491 - The bottom one.

24 A. Table 22?

25 Q.492 - Yes. And it's below the Installation of New Services

1
2 Off Existing Lines.

3 A. Yes, that's correct. It's specific to new services.

4 Q.493 - Now as I understand it, the highest clearance standard
5 on that table is 18 feet and that relates to cables that
6 would go up over streets and highways and densely
7 populated areas and over driveways to commercial or
8 industrial property, is that correct?

9 A. Yes, that's correct.

10 Q.494 - So this would apply in respect of cable that is
11 actually crossing those streets and highways?

12 A. Those are the descriptions in this abbreviated table.
13 However, if you refer to the same data in the CSA
14 standard, it will discuss along the edge of road right-of-
15 way travelled by vehicles and those types of things.

16 Q.495 - All right. But as you describe it here, it's over
17 streets and highways?

18 A. Yes. In this particular table, that's correct.

19 Q.496 - All right. And I believe one of the reasons you have
20 given for why NBTel -- or I will call them Aliant now --
21 and Disco have agreed to a higher clearance is the fact
22 that there is a significant snow accumulation in New
23 Brunswick, is that correct?

24 A. That's certainly a component of why we construct to the
25 level that we do. There is -- that's a factor that

2 the CSA has always indicated that that's a reasonably known
3 factor that needs to be taken into account, yes.

4 Q.497 - And would you agree with me that most streets and
5 highways and densely populated areas and driveways to
6 commercial property are ploughed?

7 A. Yes. The street and the driveway is ploughed but that
8 snow ends up being on the side of the street which is also
9 underneath of the wires. And in fact the accumulation as
10 a result of ploughing that snow to the side is much
11 greater than what the accumulation would be if it were to
12 just sit on the ground.

13 Q.498 - All right. And then if we look at the remaining rows
14 of that table, there are lower clearance standards that
15 range from 10.5 feet to 16 feet, is that correct?

16 A. Yes, that's correct.

17 Q.499 - And I believe you have indicated in your interrogatory
18 responses that approximately 30 percent of your poles
19 would be built to the highest standard, so the 18 foot
20 standard, is that correct?

21 A. No. I'm not sure what you are referring to there.

22 Q.500 - All right. Perhaps we could go to the interrogatory
23 response. It's A-68, and it's IR-18 -- Disco Rogers IR-18
24 -- or excuse me -- IR-20. And looking at the second page
25 of that response.

2 A. IR-19?

3 Q.501 - IR-20. Sorry. And I have on my pages -- they were
4 corrected pages. I assume others look the same. I
5 actually have almost -- shortly before the bottom of the
6 page I have the header repeated, Disco/Rogers IR-20, and
7 looking at the paragraph just above that header -- do you
8 have that, Mr. O'Hara?

9 A. I'm not sure which paragraph you are referring to.

10 Q.502 - Well it's in your response to the part two of the
11 question and it's the third paragraph of that response.
12 It begins, approximately 21 percent --

13 A. Disco Rogers IR-20, there is no --

14 Q.503 - Do you not -- perhaps you don't have the corrected
15 version. Is that possible?

16 MR. RUBY: Mr. Chairman, with your indulgence maybe we can
17 help the witness find the page. Thank you.

18 A. Okay. I have the appropriate information now.

19 Q.504 - You have that now. All right. And I believe it says
20 that approximately 21 percent of Disco's total system is
21 built over streets and highways and densely populated
22 areas and over driveways to commercial and industrial
23 property. So those would be the areas where the highest
24 clearance standard is required, is that correct?

25 A. Those are one area where that clearance standard is

2 required, that's right.

3 Q.505 - And then you conclude greater than 30 percent of
4 Disco's system is required to be built to the same
5 standards, is that correct?

6 A. Yes, that's correct.

7 Q.506 - So the remaining portion of your network would be
8 built to the lower standards that we see in that table of
9 the joint use manual, from 10.5 feet to 16 feet, is that
10 correct?

11 A. No, that's not correct.

12 Q.507 - Why is it not correct?

13 A. You are referring to the table and taking specifically the
14 description that's there. However, when you refer to
15 things such as, you know, rural or urban, that sort of
16 thing, any populated area by the CSA standard must be
17 considered as densely populated, there are people living
18 there. So you need to build to a similar standard.
19 The other issue is even over -- if you consider and think
20 about people's backyards and that sort of thing,
21 potentially you can look at that and consider, well that's
22 an area only accessible to pedestrians. However, in this
23 day and age, in people's backyards and whatnot they have a
24 tendency to build their sheds, to put pools, they do
25 different things in their backyards, which require

2 additional clearance as a safety -- from a safety perspective.

3 So if you are looking strictly at what the description is,
4 the location versus these clearance standards, that's one
5 aspect, but if you are looking at the reality of
6 construction and ensuring that people can go about their
7 activities safely, that's another component of it.

8 There is a piece within the CSA standards that isn't
9 described in this abbreviated table which references lines
10 that are built along the edge of a roadway or highway that
11 is travelled with vehicular traffic, and that was well was
12 built to the same standard as though it was crossing over
13 the road. So you can't draw a direct conclusion.

14 Q.508 - All right. But I understood that your last sentence
15 that we just looked at was intended to capture what you
16 have just described, and you said greater than 30 percent
17 of Disco's system is required to be built to the same
18 standards. Am I misunderstanding that sentence?

19 A. That's correct. Greater than 30 percent, yes.

20 Q.509 - Would you agree with me that there are a number -- in
21 fact probably a large number of your poles in backyards
22 which are in fact built to these lower standards of 10.5
23 feet?

24 A. There are some. However, you can even reference

2 Rogers submitted photographs and see that we are using --

3 Rogers themselves uses a clearance considerably more than
4 that in people's backyards. And the reasons for that are
5 I don't think that any utility is that interested to
6 approach the minimum standard getting down into as low as
7 eight feet to have energized wires in somebody's backyard.
8 There are other issues associated with meeting these
9 clearances and that's with respect to looking at what
10 reasonably can occur. And just for example over driveways
11 to residences, if you look at that in the CSA standard,
12 that is specific to residences that would have vehicles
13 less than 2.4 meters. That's a little less than eight
14 feet.

15 In this day and age there are a lot of vehicles,
16 recreational vehicles, people putting their boats in their
17 driveways, other things that are higher than eight feet.
18 And it's not reasonable for us to build to that minimum
19 standard and still be within the spirit of the CSA
20 requirements which is to take in what is reasonably known
21 that occur over the life of that line.

22 Q.510 - All right. Now I think you agreed with me yesterday
23 that Rogers has no control over the clearance space that
24 is ultimately determined by Disco on its poles. Does
25 Rogers have any impact on what the clearance space is?

2 A. By default Rogers' facilities has an impact. We build
3 those to the standard of the CSA to ensure that Rogers'
4 facilities and any other individuals in the communications
5 space can meet the minimum CSA standards.

6 Q.511 - If you exceed those standards does Rogers have any
7 input into that?

8 A. No. Rogers does not provide input to that and in those
9 occurrences where Disco is exceeding those standards,
10 that's -- we have gone through a careful exercise and made
11 a decision to spend additional monies due to some factors
12 that we are aware of.

13 Q.512 - I think you agreed with me yesterday that the
14 placement of Rogers' facilities on a pole was dictated by
15 Disco and Aliant, is that correct?

16 A. The placement of Rogers' facilities on a pole is dictated
17 firstly by the communication space. They must attach
18 within that space.

19 Q.513 - But within the communication space they are told by
20 Disco and Aliant where they can attach?

21 A. Within that space they are attached depending on what
22 happens to be in that space already and what the future
23 plans for of that space, yes.

24 Q.514 - All right. But they are told where to attach by Disco
25 and Aliant, is that correct?

2 A. Yes. Somebody must manage that space. Otherwise -- you
3 can't just have multiple people coming there and attaching
4 wherever they would want to. It needs to be organized and
5 somebody needs to -- we use the term manage, but ensure
6 that people are doing things in an orderly fashion, yes.

7 Q.515 - And manage would be a judgment call, would it, Mr.
8 O'Hara?

9 A. Manage based on CSA standards and other standards
10 associated with construction.

11 Q.516 - And that's something that is done by Aliant, the
12 management of the communication space, or by Disco
13 perhaps?

14 A. Yes. By Aliant or by Disco, that's correct.

15 Q.517 - Now I think you also indicated yesterday that a
16 significant amount of Rogers' facilities are overlashed to
17 Aliant strand, is that correct?

18 A. No, that's not.

19 Q.518 - Some of Rogers' facilities is overlashed to Aliant's
20 strand?

21 A. Yes. That's correct. Rogers says that some of their
22 facilities are overlashed to Aliant's strand?

23 Q.519 - Are you aware that up until 1995 Rogers was not
24 allowed to place its own facilities on the poles that were
25

2 managed in New Brunswick by Aliant?

3 A. I read that in Rogers' evidence.

4 Q.520 - All right. So prior to 1995, all of Rogers'

5 facilities were actually placed on the pole by Aliant, are
6 you aware of that?

7 A. I am aware of what was presented in their evidence, yes.

8 Q.521 - And when Aliant placed those facilities, it tended to
9 overlash Rogers' facilities to its own strand, are you
10 aware of that?

11 A. Again, that's operational communication industry business.

12 I'm not familiar with what they did or why they did. I
13 know based on Rogers' evidence that they have facilities
14 that are overlashed on Aliant's facilities.

15 Q.522 - When Rogers' facilities are overlashed on Aliant's
16 facilities, do Rogers' facilities use any space on your
17 pole?

18 A. They require the pole to support that strand which is
19 similarly described in many of the CRTC rulings that an
20 attachment fee would apply to an attacher whether they
21 were physically attached to the pole or whether they were
22 attached to a strand that is supported by that pole.

23 Q.523 - Agreed. But I was asking whether they would use any
24 space within the communication space when they are

2 overlashed to Aliant's strand?

3 A. Certainly they do.

4 Q.524 - When they are overlashed they use some space?

5 A. Absolutely.

6 Q.525 - How much space would they use?

7 A. They would use the space that the strand is attached to as
8 well as they would require whatever space is required for
9 the lashing tool in order to overlash. So they would use
10 approximately a foot.

11 Q.526 - All right. But the strand would already be there for
12 Aliant, is that correct?

13 A. Yes, that's correct.

14 Q.527 - All right.

15 A. However, you would need to use this lashing tool to
16 overlash Rogers' facilities on it. And in order to be
17 able to do that you need to have about a foot of space,
18 and that's why the two foot communication space is broken
19 up the way that it is with three attachers on either side
20 of the pole with a foot in between those attachments to
21 allow for the use of the lashing tool to put their cables
22 on that strand.

23 Q.528 - So you are saying you could have six attachers to a
24 joint use pole, is that correct, Mr. O'Hara?

25 A. Yes. Our design standards allow for three attachments

2 on either side -- on both sides of the pole, which is of
3 benefit to third parties because it allows for more room
4 to attach. If we were restricted to one side, that would
5 create some issues.

6 Q.529 - So there is significant upside potential here if we
7 get more competitors in the communications market that
8 need to attach to your poles, is that correct?

9 A. No, I don't believe so.

10 Q.530 - You could generate revenues from a number of
11 additional attachments on those poles?

12 A. All joint users on the pole would share the costs of that
13 pole.

14 Q.531 - Well if we go in with a rate that is set assuming
15 there are two users, and we don't change that rate, what
16 would happen then?

17 A. The rate needs to be adjusted as the average number of
18 attachers increases.

19 Q.532 - So Disco will be back asking for a rate reduction in
20 that situation?

21 A. It's not a rate reduction. It's a re-spreading of the
22 costs associated with the joint use pole.

23 Q.533 - The individual rate payable by each communications
24 user would fall, would it not, Mr. O'Hara?

25 A. It would change, yes.

2 Q.534 - Now I understand above the clearance space we have the
3 communication, is that correct?

4 A. Yes, that's correct.

5 Q.535 - And the communication space is always two feet, is
6 that correct?

7 A. Yes. The standard that is accepted across Canada is two
8 feet communication space.

9 Q.536 - All right. Now if we use the clearance space that was
10 accepted by the OEB and the CRTC and that Rogers is
11 proposing in this proceeding, you are aware that that
12 amount is 17.25 feet, are you, Mr. O'Hara?

13 A. You are back to the clearance space?

14 Q.537 - Yes.

15 A. Yes. That was the number that was used.

16 Q.538 - All right. So if we add two feet of communication
17 space to the 17.25 feet we would get 19.25 feet, is that
18 correct, Mr. O'Hara?

19 A. Yes, that's correct.

20 Q.539 - So if a Rogers' cable were mounted at 19 feet would it
21 still be in a communication space?

22 A. Yes, it would.

23 Q.540 - Thank you.

24 A. However, the communication space also needs to accommodate
25 the other attachers. And you need to account

2 for the bottom most attacher when determining what you need
3 for clearance space. Otherwise you are not constructing
4 the pole in the spirit of joint use. You are constructing
5 a pole that would allow somebody at the uppermost portion
6 of the communication space to actually achieve the
7 appropriate ground clearance and those below wouldn't be
8 able to.

9 Q.541 - And who would be the bottom most attacher on most of
10 your poles?

11 A. That's depending on where the attachments are on the pole.

12 Q.542 - And I think you indicated to me that sag was a
13 function of weight, is that correct? I think we talked
14 about this a few minutes ago, that the sag on a line was a
15 function of the weight of the line.

16 A. Weight I said was one factor, yes.

17 Q.543 - All right. And you weren't aware of the relative
18 weights of copper -- telephone company copper and coaxial
19 cable that's installed by Rogers?

20 A. No, I'm not.

21 Q.544 - If the weight of the coaxial cable were less, would
22 you agree with me there would be less sag on that cable?

23 A. Not necessarily.

24 Q.545 - Because what, of other factors?

2 A. Yes.

3 Q.546 - What other factors?

4 A. The tension that is able to be put on that cable or that
5 coax, and as a result of that that drives how much sag you
6 are going to have as well, probably moreso than the
7 weight.

8 Q.547 - All right. Now if we go back up above -- we have got
9 the communication space, then we go -- above that is the
10 separation space, is that correct?

11 A. Yes, that's correct.

12 Q.548 - And I understand that the CSA standard requires a
13 separation space that varies between two feet and four
14 feet, is that correct?

15 A. No, that's not correct.

16 Q.549 - So what would be the variation in the separation space
17 that's required by the CSA standards?

18 A. Separation space between main line communication
19 facilities and NB Power's energized wires is set at a
20 minimum of one meter, 3.28 feet.

21 Q.550 - How much separation space would you have on a service
22 pole, Mr. O'Hara?

23 A. That's where I had indicated the main line.

24 Q.551 - All right. I was asking generally about all poles.

25 A. On all poles there is one -- there is a deviation

2 allowed for service drops --

3 Q.552 - And what would be the separation --

4 A. -- and in that case you can reduce the clearance to .6
5 meters.

6 Q.553 - All right. Thank you. And the amount of the
7 separation space depends then on the voltage that is
8 carried by the lines, is that correct?

9 A. Yes, that's correct. If you have higher voltage you
10 require more separation. That's one factor.

11 Q.554 - All right. Now going to the top of the pole above the
12 separation space we have this power space, is that
13 correct?

14 A. Yes, that's correct.

15 Q.555 - And I believe that you have indicated in your evidence
16 that Disco's power space requirements on a 40 foot pole
17 are 4.9 feet, is that correct?

18 A. Our standard construction requires 4.9 feet, that's
19 correct.

20 Q.556 - And would you agree with me that sometimes Disco
21 requires much more than 4.9 feet on a pole?

22 A. 98 percent of what we construct out there is single phase
23 and standard three phase construction, and both of those
24 construction types require approximately five feet on the
25 pole.

2 Q.557 - But you do have some 55 foot poles out there, don't
3 you, Mr. O'Hara?

4 A. Yes, that's correct. They are less than a tenth of a
5 percent of the poles.

6 Q.558 - And those poles are included in your pole cost data?

7 A. Yes, that's correct.

8 Q.559 - All right. Now suppose we are building a telephone
9 company only pole. And as I understand it, using the
10 space allocations that Disco believes should be used, on
11 that telephone company only pole we would have six feet of
12 buried space, 19 feet of clearance space and two feet of
13 communication space, for a total of 27 feet. Would you
14 agree with that?

15 A. No, I wouldn't.

16 Q.560 - What would that -- what would the telephone company
17 pole look like then?

18 A. Well I can tell you what I have observed what they look
19 like, but the reason why I don't agree with you is you
20 have assumed six feet of buried space.

21 Q.561 - Well I'm just working with the allocations that you
22 have proposed for a pole, and I'm working with those
23 allocations and I'm taking the buried plus the clearance
24 plus the communications.

25 A. But if you are building a communications only pole,

2 I'm going to assume that you are going to use a shorter pole,
3 in which case it doesn't need to be buried in the ground
4 as deep as a 40 foot pole.

5 Q.562 - All right. So it might be then lower than the 27 feet
6 because they wouldn't need as much buried space, is that
7 what you are saying, Mr. O'Hara?

8 A. What Rogers has demonstrated is they use 30 foot poles.

9 Q.563 - All right. Thank you. Are you aware of any situation
10 where Rogers would require more than a 40 foot pole?

11 A. Yes.

12 Q.564 - And where would that be?

13 A. That could be at river crossings or crossing large gullies
14 or depending on other factors, terrain.

15 Q.565 - And how many would you estimate in your pole data base
16 -- how many of those poles would there be?

17 A. Again, that's a small percentage of the poles.

18 Q.566 - All right. And sometimes there is power facilities
19 that do require in excess of 4.9 feet, is that correct?

20 A. Yes. The other two percent of our construction is types
21 that require more than the 4.9 feet, that's correct.

22 Q.567 - In fact they might require up to almost 12 feet on a
23 pole, is that correct?

24 A. Yes. Double circuit or vertical construction would

2 require about 11 1/2 feet. Those two constructions are about
3 a quarter of a percent and a tenth of a percent of what we
4 construct.

5 Q.568 - All right. Now would you agree with me that design
6 requirements for a pole are a function of the weight and
7 the type of equipment that is going to be placed on the
8 pole?

9 A. The CSA requires you to take into account the strains and
10 stresses that would be on a pole, yes.

11 Q.569 - So a pole that is going to have more weight on it
12 would require -- would need to be sturdier, is that
13 correct?

14 A. Yes. A joint use pole tends to -- a joint use pole is a
15 higher class pole than what would be required for
16 individual pole lines.

17 Q.570 - And do the voltages that are carried by the equipment
18 on a pole, does that affect pole height?

19 A. No, it does not.

20 Q.571 - I think you just indicated to me though that the
21 clearance -- excuse me -- the separation space would
22 change depending on the voltages of the lines, is that
23 correct?

24 A. I'm taking your question to refer to a typical pole.

25 Q.572 - No. I'm talking about all poles right now. So all my

1 questions speak to all poles.

2 A. Yes. As you progress through from distribution voltages
3 up to the transmission voltages in this province up to
4 345,000 volts, there is greater ground clearances, that's
5 correct.
6

7 Q.573 - And there would also be a greater separation space if
8 you went to very high voltage power lines?

9 A. Third parties aren't attached on very high voltage power
10 lines.

11 Q.574 - All right. So it's really the clearance space and
12 then would the power space change at all?

13 A. For what?

14 Q.575 - Depending on the voltage of your lines. Would the
15 amount of power space change?

16 A. No, it would not.

17 Q.576 - No, it wouldn't. Okay. Can you describe to me what
18 you consider to be a service pole?

19 A. Service poles are poles that hold all utilities drop wires
20 required for their clearance so that they can be taken off
21 the main line and into homes and businesses.

22 Q.577 - Would there be a transformer ever on a service pole?

23 A. No, there would not.

24 Q.578 - Would there be high voltage lines on a service pole?

25 A. No, there would not.

2 Q.579 - And in fact because the lines are lower voltage you
3 can go to a two foot -- or I think you said .6 meter
4 separation space, is that correct?

5 A. That's correct, because the CSA standards allows for the
6 reduction in space between service wires, both service
7 drops of communication and service drops of power.

8 Q.580 - So typically a service pole would support lighter
9 facilities than a distribution pole, would you agree with
10 that?

11 A. Yes, that's correct.

12 Q.581 - So a less sturdy pole would be required?

13 A. Yes, that's correct.

14 Q.582 - All right. Now I understand that CSA standards allow
15 Disco to let transformers overlap into the separation
16 space, is that correct?

17 A. Yes, as per CSA standards, and we are allowed to put
18 transformers down into the separation space, just as
19 Rogers is allowed to bring their service drops up into the
20 separation space.

21 Q.583 - And I believe if we go again back to our excerpts from
22 the joint use manual, if we go to page 267 of those
23 excerpts. And that picture demonstrates that the
24 transformer can indeed go over into the separation space.

25 Would you agree with me, Mr. O'Hara?

2 A. Yes. As per the CSA standards, that grounded transformer
3 case can be down into the neutral space.

4 Q.584 - And I understand that Disco takes advantage of this on
5 approximately one out of six of its poles, is that
6 correct?

7 A. That's correct. There is a transformer on about 18
8 percent of our poles.

9 Q.585 - All right. And when this happens would you agree that
10 Disco facilities are mounted in part in a separation
11 space?

12 A. Disco facilities are mounted as per the CSA standard
13 allowances, yes.

14 Q.586 - And they are mounted in part in the separation space?

15 A. Yes. And similarly Rogers has their facilities mounted in
16 part in the separation, in the neutral separation space.

17 Q.587 - All right. And when Disco is doing this, is it using
18 the separation space for its own facilities?

19 A. It's using the separation space as per the CSA standards,
20 again just as Rogers does the same thing.

21 Q.588 - And I think you agreed with me earlier that Rogers
22 puts its facilities where it is told to put its
23 facilities, is that correct?

24 A. Rogers attaches within the communication space where

2 it's appropriate to attach. And then they loop their service
3 drops up into the neutral separation space. They are not
4 told where to attach those service drops up in the
5 separation space.

6 Q.589 - All right. Now I understand that CSA standards also
7 allow Disco to install streetlights in the separation
8 space, is that correct?

9 A. Yes. That's correct. The CSA standard discusses both
10 transformers and streetlight brackets as they are both
11 grounded pieces of equipment. They are unenergized.

12 Q.590 - And in fact if we turn to the next page of those
13 excerpts from the joint use manual, page 268, that would
14 be a diagram that shows a streetlight?

15 A. Yes. That's correct.

16 Q.591 - All right. And that streetlight is using part of the
17 separation space, is that correct?

18 A. Yes. That's correct. The streetlights are mounted on
19 less than 7 percent of the joint use poles.

20 Q.592 - All right. Would you agree with me that when that
21 occurs Disco has its own facilities mounted in the
22 separation space?

23 A. Yes, as per the CSA standard allowance.

24 Q.593 - All right. And I understand that Disco also has
25 something which is known as a gang switch handle which it

1
2 would sometimes place in the communications and clearance
3 space, is that correct?

4 A. Yes. There are 946 of those in the entire province.

5 Q.594 - All right. And what about transition facilities going
6 from overhead to underground? Sometimes those would
7 transit the communications and clearance space, is that
8 correct?

9 A. Yes. That's correct. Disco has just over 3,400 of those
10 types of installations out there, as would Rogers have
11 those types of installations as well.
12 And typically where we require underground, it's going
13 into underground subdivisions or places like that. And
14 obviously Rogers is utilizing the same types of facilities
15 to provide that same underground service.

16 Q.595 - All right. Can Rogers place facilities in the power
17 space?

18 A. No, they cannot due to restrictions as far as
19 qualifications of their personnel firstly.

20 Q.596 - All right. I wonder if we could turn to a new topic.
21 It is the issue of adjusting the data for power-specific
22 fixtures. And I will try to keep this as low number
23 intensive as possible. But it is somewhat difficult.
24 Now can you confirm for me, Mr. O'Hara, that when you
25 calculated what you considered to be a fair rate proposal

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

in July 2004, you took the costs of a pole without any fixtures, as shown on your books, and added to it 22.5 percent of your installed fixture costs? Is that correct?

A. Yes. That's correct. That was done in error.

Q.597 - All right. And you considered at that time then that 22.5 percent of your total installed cost of fixtures were fixtures required for what I will call a bare pole, and 77.5 -- so the remainder were power-specific fixtures. That is what you considered to be appropriate in July 2005?

A. The calculation was done in error. I believe what the intention was there was actually 22 1/2 percent were the power-specific components and the other 77 1/2 were the common.

But unfortunately that is what the calculation was done at the time. That's correct.

Q.598 - And in this proceeding you are proposing that 72.5 percent of the fixture costs are power and only about 22 - or actually 27 percent are non power-specific, is that correct?

A. Yes. That's correct. 27 1/2 percent of the fixture costs are non power-specific -- power-specific, sorry.

Q.599 - Now I think that you state in your evidence that the difference between your calculations for this proceeding

1
2 and for July 2004 is that you took certain fixture costs out
3 in July that are in fact fixtures that are required for a
4 bare pole, is that correct?

5 A. Yes. That's correct. At the time personnel removed
6 anchoring and guying that were joint use anchoring and
7 guying that are obviously part of a common joint use
8 structure. That's as an example.

9 Q.600 - Was there anything other than anchoring and guying
10 that was removed?

11 A. All of the components with respect to the grounding system
12 which is a requirement of Rogers and obviously not a
13 power-specific component on a joint use pole, particularly
14 given that the CSA requires Rogers to bond to our
15 multigrounded neutral system.

16 Q.601 - All right. And I understand that in the interrogatory
17 responses, again A-68 in Appendix N -- I'm not sure if we
18 have go to there, we can if people want -- you provided a
19 list of all of the fixtures that are on your poles, is
20 that correct?

21 A. Yes. That's correct.

22 Q.602 - Perhaps we actually should go there. It is Appendix N
23 to exhibit A-68.

24 MR. MACNUTT: Would you repeat the reference again please.

25 MS. MILTON: Exhibit A-68, Appendix N as in no.

2 Q.603 - Now if we go over to the righthand side of the page
3 there is a column entitled "Extension". And as I
4 understand it, that column shows the costs of all the
5 fixtures that are on your poles, is that correct?

6 A. I would rephrase that. What it shows is the cost of
7 fixtures that were installed over a 12-month period, the
8 material costs.

9 Q.604 - All right. And then the next column over, you have
10 called it "Pole Related Costs".

11 And my understanding is that over a 12-month period that
12 is the cost of the fixtures that you would need for a pole
13 regardless of whether there are power facilities on it or
14 not, is that correct?

15 A. Yes. The material cost of those components.

16 Q.605 - Now I presume you have seen Mr. Ford's calculations
17 using these numbers, have you, Mr. O'Hara?

18 A. Yes, I have.

19 Q.606 - So would you agree with me that based on the numbers
20 that you have provided in exhibit N -- excuse me, Appendix
21 N, power-specific fixture represent about 45 percent of
22 your total fixture costs in a 12-month period and the
23 other fixtures would be the remainder, so around 55
24 percent?

25 Do you agree with those numbers?

2 A. Yes. 45 percent of the material costs. That's correct.

3 Q.607 - And I take it that in July of 2004 it was actually
4 only a portion of the general costs that were erroneously
5 removed from your calculation? It wasn't all of them?
6 You identified I think guying, anchoring and the grounding
7 system. But that would be a portion of the fixtures we
8 see in this column entitled "Pole Related Cost"?

9 A. The -- if you looked at the percentage of what is
10 anchoring and guying here as far as the pole-related cost,
11 they are a vast majority of it.

12 Q.608 - Okay. But even if we take them all out we are still
13 at those costs would represent 55 percent, is that -- you
14 would confirm Mr. Ford's calculations, I believe?

15 A. Yes. That's correct. Of the material costs.

16 Q.609 - Now as I understand your approach to removing power-
17 specific fixtures, you calculated the cost of a pole with
18 no fixtures on it at all, is that correct?

19 A. Yes. That's correct.

20 Q.610 - So basically you calculated the cost of the stick
21 going into the ground?

22 A. That's correct.

23 Q.611 - All right. And then you calculated the cost of that

24

25

2 stick in the ground with power fixtures on it, is that
3 correct?

4 A. Yes. That's correct.

5 Q.612 - And so you looked at the difference between the cost
6 of the stick in the ground and the cost of the stick with
7 the power fixtures on it, would that be correct?

8 A. Yes. That's also correct.

9 Q.613 - All right. So just to confirm this with some simple
10 numbers, if you had the bare pole to stick in the ground
11 and it cost \$500 --

12 A. Mmmm.

13 Q.614 - -- and then your pole with just power fixtures on it
14 cost \$600 --

15 A. Mmmm.

16 Q.615 - -- you would calculate a 20 percent increase in the
17 cost, is that correct?

18 A. That's correct.

19 Q.616 - And then you would take that number and you would go
20 to your cost data. And you would take the cost of a bare
21 pole and your cost data and add to that 20 percent of the
22 installed cost of your fixtures, is that correct? Sorry,
23 80 percent, excuse me. I knew I shouldn't have gone into
24 numbers.

25 You would add to it 80 percent of the cost of your

2 fixtures. Because your calculation says that 80 percent of
3 your -- you have calculated this 20 percent as the
4 increase when you just have a power pole?

5 A. Yes. That's correct.

6 Q.617 - All right. So I understand the number you calculated
7 in your data when you do this is you calculate going from
8 a bare pole to a pole with power fixtures, that increase
9 is 27.5 percent, is that correct?

10 A. That's correct.

11 Q.618 - So then you -- and you got that by doing a weighting
12 system on the various distribution -- the distribution of
13 different types of poles in your system, is that correct?

14 A. We got that based on actual history out of our line design
15 application, which allowed us to look at specifically what
16 we had designed, looking at the fact that 98 percent of it
17 is single phase and three-phase, better than 60 percent
18 being single phase, the other percentage being three-
19 phase.

20 We looked at whether they were dead-end type structures,
21 those types of things, a very, very detailed look at it to
22 get those allocations. That's right.

23 Q.619 - It is indeed very complex. Okay. If we could go back
24 to my simple example. So we have got a bare pole of 500.
25 We have got a bare pole with power on it and it is 600.

1
2 So the power fixtures cost \$100.

3 Now let's assume that the pole with all of the fixtures on
4 it costs \$650. So we have got power fixtures are \$100.

5 The other fixtures are \$50. So our total fixtures are
6 \$150. Would you agree with that?

7 A. Using the numbers that you are pulling out of the air,
8 yes.

9 Q.620 - Yes. That is fine. I appreciate that this is just a
10 simple example.

11 So in that example 100 of the 150 are power-specific. So
12 approximately 67 percent of total fixture costs are power-
13 specific. Would you agree with that?

14 A. Yes. That's correct.

15 Q.621 - So in fact we -- actually when we go back to your
16 data, we would actually need to take out 67 percent not 80
17 percent of the total fixtures to represent what is power-
18 specific in my --

19 A. Again your example is based on numbers that you are
20 pulling out of the air and the relationship between a
21 fully framed pole, the power framed pole and the bare
22 framed pole are skewed considerably.

23 Q.622 - All right. But my example correctly follows your
24 methodology, is that correct? It is consistent with your
25 methodology, what I have done?

2 A. To be perfectly honest I'm having a hard time following it
3 as you are discussing it.

4 Q.623 - Okay. Well, what we did was we took the stick in the
5 ground. And we got a percentage increase when we just put
6 power facilities on it, right? And that percentage
7 increase was 20 percent.

8 So I believe you told me that when you went to your total
9 installed fixture costs you said, we need 80 percent of
10 those. Because 80 percent of those are really what you
11 would need for the pole without power. I believe that is
12 what you said you would do?

13 A. That's correct.

14 Q.624 - All right. But in the example that I have provided to
15 me, I believe you have confirmed that in fact the power
16 fixtures are 67 percent of total fixture costs, is that
17 correct? 100 out of 150?

18 A. Yes. In your example, that would be correct.

19 Q.625 - Right.

20 A. But again I want to reemphasize that the numbers that you
21 are using are skewed considerably with respect to the
22 total installed costs and the fixture-only cost and the
23 bare pole.

24 Q.626 - All right. But the point I'm --

25 A. And by selecting those particular numbers it results

2 in something that -- what you are working toward.

3 Q.627 - All right. But the point I'm trying to make is you
4 are taking a percentage increase on a bare pole. But then
5 you are using that percentage increase to deflate a
6 different thing. You are using it to deflate total
7 installed fixture costs?

8 A. That's correct.

9 Q.628 - All right. Thank you.

10 A. And we did that based on a couple of factors that you
11 haven't taken into account. If in fact the -- I'm going
12 to have to do this one because it's easier to follow.
13 Looking at the reality of it, we have got the bare pole.
14 We constructed a pole with power-specific components.
15 I think that there is one thing worth noting here as well.
16 We think about power-specific components. And we think
17 about cross arms and lots of insulators and those types of
18 things.
19 The fact of the matter is that power-specific pole, 62
20 percent of the time all it has got on it is a power-
21 specific component is a pole top pin. There is no cross
22 arm or anything else there. It's a pin insulator.
23 So I think that just helps to put it a little bit into
24 perspective. We are not talking about a big huge amount
25 of product on the pole. In over 60 percent of the cases

1
2 it's a pole top pin. That's a few dollars and a few dollars
3 to install.

4 Anyway, getting back to what we had done, we did the --- I
5 will draw the three accounts. I refer to this as the bare
6 pole account, the electric fixtures account. And this
7 would be the fixtures account.

8 And we did our exercise. And Ms. Milton is quite correct.

9 We came up with a percentage that this increased this
10 bare pole. And it's 27 1/2 percent.

11 So we looked at that. And yes, we did take it over and
12 then applied it to this account. But the reason why we
13 did that is that would be mathematically precise, if the
14 value of this account was equal to the value of this
15 account.

16 So if you had, you know, a million or whatever factor you
17 wanted to use here, and you had the same over here, and
18 you determined this 27 1/2 percent, it wouldn't matter if
19 you applied it here or applied it here. You would get the
20 same result.

21 And what that would equate to is if you looked at the
22 fixtures as a percentage of the total cost of the pole, it
23 would be 50 percent. So we went through and looked at it
24 -- went through an exercise and looked at our 32 years of
25 data that we are dealing with. And that factor right

2 there of fixtures to a bare pole is in the order of 55

3 percent, which is quite close to this. And we felt that
4 that is a pretty reasonable proxy.

5 However, I do think it is worth noting that the way that
6 Mr. Ford attempted to do this or correct this, although
7 done incorrectly, all of the data there is -- all of the
8 data is available to do it the way that he was looking at.

9

10 And that's basically -- again I will draw the same ones.

11 We have got our bare pole. We have got our pole with some
12 power fixtures on it. And we have got this fixture
13 account over here. And we determined that the cost of
14 this is -- the increase is .275 times the bare pole cost.

15 That's the cost of electric fixtures. So if I take that
16 cost, I can remove it from this total cost which is
17 another number that we have, to get what is left, is the
18 power fixtures only.

19 The result of doing that is a \$418 embedded cost. And the
20 way that we did it resulted in a \$396 cost. So we were a
21 little more conservative that the two values are within 5
22 percent of one another. And doing it this method right
23 here is precise mathematically.

24 Q.629 - Mr. O'Hara, I believe you confirmed at the outset that
25 you are not a costing expert, is that correct?

2 A. That's correct. I don't consider myself a costing expert.

3 However, I do have a fair bit of experience in that area
4 with regard to the budgeting and looking at costs
5 associated with completing work, comparing actuals to
6 estimates, those types of things.

7 Q.630 - And just to confirm, the number that you applied to
8 deflate the total fixture cost was not 55 percent, it was
9 27.5 percent, is that correct?

10 A. That's correct. The 55 percent was the factor of total
11 fixture costs to the total pole, with the factor of
12 fixture costs to the total pole.

13 Q.631 - All right. And I believe that one of the criticisms
14 you had of Mr. Ford's approach yesterday was that there
15 was a discrepancy between installed costs and actual
16 fixture costs, is that correct?

17 A. Yes. There is a significant difference between installed
18 cost and material costs, specifically when looking at
19 certain types of items. And I had explained that
20 yesterday with respect to the anchoring and guying, which
21 is a common cost, which is the most labour-intensive
22 component to install within the fixture account.

23 And you can look at that simply from a perspective of the
24 type of equipment required to put that anchor in the
25 ground, the time associated with doing that, with

2 installing the guy between the anchor and the pole, with
3 tensioning that guy. There is a lot of labour involved.

4 Whereas with the power component such as that pole top pin
5 insulator or even the cross arm, it is a bolt through the
6 pole and the work is done.

7 So the ratio between material and installed cost of these
8 anchoring and guying components, which are a majority of
9 the items in the fixture account, is quite significant.

10 Q.632 - All right. And I assume that Nova Scotia Power would
11 have experienced the same kind of issue, that anchoring
12 and guying would be more labour-intensive for them in the
13 same way that it is for you, is that correct?

14 A. I can't answer what their assessment of that is.

15 Q.633 - But you wouldn't anticipate it to be any different?

16 A. Again I don't know how they deal with things, whether they
17 contract, do it in-house, those types of things. So I
18 can't comment on Nova Scotia Power's assessment of that
19 work. I do know what occurs in the province of New
20 Brunswick.

21 And I do know that installing those anchoring and guying
22 and the work that's associated with ensuring that they are
23 installed properly is quite a bit more labour-intensive
24 than installing the power-only components, which

2 tend to be nuts and bolts type of issues constructing on the
3 pole.

4 Q.634 - I wonder if we could go to Appendix I, I believe, to
5 this exhibit A-68? I understand that this exhibit
6 provides some background on how you did the scaling of
7 your results for each type of -- or height of pole and
8 construction and how you scaled them to get a percentage
9 distribution across your pole population, is that correct?

10 A. This scaling doesn't have anything to do with height of
11 poles. It's strictly the construction type.

12 Q.635 - All right. Well if I could just go down to -- there
13 is a one cable that got four rows and then there is a
14 title, it says, "Scale to 70 Percent as 30 Percent of
15 Poles are 30-footers". Do you see that, Mr. O'Hara?

16 A. Yes, that's correct.

17 Q.636 - Are you aware that in the materials filed by the CEA
18 in the OEB proceeding they indicated that 15 percent of
19 your poles were 30 feet?

20 A. Again that was based on a very rough estimate of 600,000
21 poles times the 57 percent ownership ratio. The 30
22 percent that we are presenting here is validated from two
23 different applications that we use, one providing the
24 actual historical implementation of poles, the other being
25 what has actually been charged out of our stores. And

2 both of those indicate quite clearly that 30 percent of those
3 poles are 30 foot poles.

4 Q.637 - All right. But Disco provided that number to the CEA
5 I understand. You indicated that earlier today that your
6 people would have constructed the numbers they provided to
7 the CEA?

8 A. About three years ago those numbers were provided to the
9 CEA and they were based on a very rough estimate.

10 Q.638 - And you don't disagree with me that in those numbers
11 they showed 15 percent of your poles being 30 footers?

12 A. Again that was a rough estimate breakdown of the poles,
13 and I would put a lot more emphasis on the information
14 that we have today and have developed since then which is
15 based on our actual history out of our actual line design
16 application whereby we design and issue material and do
17 our planning against, and as well as our materials
18 management system which indicates how many poles we were
19 actually purchasing year over year and of what size. And
20 both of those correlate to 30 percent 30 foot poles.

21 Q.639 - All right. But you don't disagree that it was 15
22 percent that the CEA told the OEB?

23 A. Three years ago information based on a very rough estimate
24 was provided, yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q.640 - All right. Could we move on to a new issue, the issue of productivity costs. Would you agree with me that productivity costs are caused by communications attachers as soon as Aliant uses your poles? Would you agree with me that as soon as Aliant is on the pole there are productivity costs?

A. Could you take me to the IR that we are discussing now?

Q.641 - I'm not talking about an IR. I'm talking about productivity costs generally. And I'm asking you would you agree with me that the productivity costs associated with communications attachers on your poles would be caused as soon as you have Aliant on your pole, is that correct?

A. We apply the productivity factor against all communication attachers on the pole.

Q.642 - All right. But as soon as Aliant is on the pole there would be some communications attachers, is that correct?

A. Yes, that's correct.

Q.643 - So presumably there would be some productivity costs as a result of those communications attachers -- as a result of Aliant being on your pole, is that correct?

A. Yes, that's correct. But primarily those types of issues are resolved through the negotiation and the give

2 and take within the joint use arrangement. Things like loss
3 of productivity can be offset with even such things as
4 sharing common building space or sharing resources or
5 sharing work planning systems or one utility providing
6 certain functions for both.

7 Q.644 - All right. So you would have considered the
8 productivity costs associated with having communications
9 users on your pole when you negotiated your joint use
10 agreement with Aliant, is that what you are saying?

11 A. No. I'm just saying that that's one of the factors
12 associated with the overall scope of joint use
13 arrangement.

14 Q.645 - So you wouldn't have considered those costs even
15 though they are a factor?

16 A. I didn't say that. I said that's part of the scope of
17 overall joint use arrangement.

18 Q.646 - All right. So you would have considered --

19 A. There is give and take on both sides.

20 Q.647 - All right. But they would have been a factor that the
21 parties would have considered?

22 A. No, not necessarily specifically a factor that was
23 considered, no.

24 Q.648 - You wouldn't have considered that there are
25 productivity costs associated with having a joint use

2 pole?

3 A. It may have been discussed. The original joint use
4 arrangement began in 1967 and further re-negotiated in
5 1996, and I'm not sure what particular factor loss of
6 productivity would have played.

7 Q.649 - All right. But you would agree with me that if there
8 are productivity costs associated with having
9 communications attachers on the pole those costs would
10 arise as soon as you have Aliant on the pole, is that
11 correct?

12 A. The costs are associated with communications attachers,
13 that's correct.

14 Q.650 - So as soon as you have Aliant on the pole you have the
15 cost, do you not, Mr. O'Hara?

16 A. A component of that cost may or may not be there.

17 Q.651 - Some of the cost would be there?

18 A. Again it's a part of the overall joint use arrangement.
19 And you accept that there is give and take on both sides
20 and yes, loss of productivity could potentially be a
21 factor associated with that.

22 Q.652 - Well are you telling me that when Aliant goes on your
23 joint use poles there might not be a productivity cost but
24 when Rogers goes on there is a productivity cost?

25 A. I'm not telling you that at all.

2 Q.653 - All right.

3 A. I'm telling you that it's a factor that would be included
4 as part of the overall joint use arrangement.

5 Q.654 - All right. Would you agree with me that Rogers is
6 proposing under the methodology that it has before the
7 Board in this proceeding that it is proposing to pay
8 one/half of the productivity costs that are incurred by
9 Disco as a result of having communications users on the
10 pole?

11 A. Excuse me, could you state that again?

12 Q.655 - Would you agree with me that in the methodology that
13 Rogers is proposing in this proceeding to the Board Rogers
14 is indicating that it would pay one-half of the
15 productivity costs to Disco that are caused by having
16 communications users on its poles?

17 A. I'm not sure with respect to that, because at some point
18 in time Rogers has indicated that they want to pay
19 something less than half the productivity factor.

20 Q.656 - All right. I wonder if we could go to Disco/Rogers
21 IR-17 which again is in this Exhibit A-68. And if we
22 could go to the second page of that response. Do you have
23 that, Mr. O'Hara?

24 A. Yes, I do.

25 Q.657 - And just beneath the header Part II, the first bullet

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you talk about 1,739 responses per year to non-outage trees on line. Would you agree with me that the tree on line do not all occur after hour?

A. Yes, I would agree with that, but I would also like to point out that 75 -- a little better than 75 percent of the week is outside of normal working hours.

Q.658 - All right. And if we go to your second bullet we have got 1,830 responses to non-outage wires down. Do all non-outage wires down occur after hours?

A. Not all, no, but better than 75 percent of them likely do.

Q.659 - And I believe further on in that bullet you indicate that the majority of these calls are communications related, is that correct?

A. Yes. Obviously when we have got a call and wires are down and it's an non-outage, it's not involving power wires.

Q.660 - All right. But it's not all of them, is that correct?

The majority?

A. It would be all of them.

Q.661 - You are revising your evidence then. It's not a majority, it is all of the calls?

A. It's -- all of these calls would be not related to power wires. If wires are down there is an outage. The

1 - 3154 - Mr. O'Hara - Cross -

2 statement, yes, indicates the majority of these, so I will
3 stand by that.

4 Q.662 - All right. And if we go down then to just below
5 calculations and we go to the part two loss, because I
6 understand these two bullets explain your calculation of
7 the part two loss which is described in the second bullet
8 under calculations. And as I understand it it took half
9 of the 739 responses that you attribute to non-outage tree
10 on the line, and you add to it all of the 1,830 responses
11 that you consider to be non-outage wires down, is that
12 correct?

13 A. Yes, that's correct.

14 Q.663 - Notwithstanding that not all of them would be
15 communications related, correct?

16 A. No. This is a determination of a factor and there are
17 other components that aren't included in this, so I still
18 believe that this is a conservative and reasonable amount.
19 The other components that aren't included in here were
20 discussed yesterday.

21 The fact of the matter is to have on-call -- administer an
22 on-call roster is in excess of half a million dollars a
23 year, and as well, when these calls are after hours, due
24 to our union agreements, depending on how long they may be
25 out or what time of the night those

2 occurred, they may be on off work on rest -- paid rest pay the
3 following day. So those factors aren't taken into account
4 here.

5 Q.664 - Mr. O'Hara, would you agree with me that you need your
6 on-call staff in order to service your own electrical
7 lines?

8 A. Yes, that's correct. But I also believe that as a result
9 of that Rogers has a benefit that they are realizing.

10 Q.665 - All right. And would you agree with me that this
11 formula is the formula that you are proposing that the
12 Board use to calculate productivity costs, is that
13 correct?

14 A. Yes, that's correct.

15 Q.666 - All right. And if we continue on with that formula
16 you have increased -- you have included then two full
17 hours at overtime, is that correct? The 261 represents
18 two overtime hours?

19 A. Yes, that's correct. That's related to our minimum call
20 out fee. If somebody is called out after hours they are
21 paid a minimum of two hours at double time.

22 Q.667 - So then you have multiplied that by two to reflect
23 your estimate of the amount of time that would be spent?

24 A. It's not actually a reflection of the amount of time

2 that would be spent. The amount of time that would be spent
3 could be more than that. What this is reflecting is the
4 minimum costs that we will incur as a result of that. It
5 doesn't reflect if they happen to be out for longer than
6 two hours which could easily occur depending on what the
7 issue is.

8 Q.668 - All right. And then you are dividing that amount by
9 the total number of your joint use poles, is that correct?

10 A. No, that's not correct.

11 Q.669 - Well what is the 550,000 then?

12 A. That's the total pole population across the province --

13 Q.670 - All right.

14 A. -- and the reason why we are doing that is because, number
15 one, it results in a conservative estimate, but we don't
16 know where those not outage trouble calls will be and we
17 wanted to spread those across all polls because that's
18 where they could be, and to reflect an appropriate
19 component to attach to the third parties.

20 Q.671 - All right. Now if we go to your part one calculation,
21 as I understand it the third bullet on this page under
22 part two, if we could go to that bullet. And it talks
23 about the fact that in total Disco works on approximately
24 9,500 joint use poles each year transferring facilities,

2 upgrading facilities and installing transformers. And that in

3 fact relates to your part one calculation, does it not,

4 Mr. O'Hara?

5 A. Yes, that's correct.

6 Q.672 - Now these 9,500 joint use poles, that's all joint use

7 poles in New Brunswick?

8 A. That's a combination of the number of joint use poles that

9 would be installed year over year. Typically NB Power

10 installs in the order of 6,500 to 7,000 a year and Aliant,

11 their ownership areas would be installing somewhere in the

12 order of 2,500 to 3,000, those kinds of numbers. So

13 that's -- therefore we know that we will be dealing with a

14 minimum of 9,500 joint use poles.

15 Q.673 - What I am trying to understand, Mr. O'Hara, is this

16 9,500 poles, is it Aliant and Disco poles or is it just

17 9,500 Disco poles?

18 A. It's 9,500 poles or pole locations that Disco will be

19 required to work on that has Aliant facilities attached.

20 Q.674 - So some of those would be Aliant poles, is that

21 correct?

22 A. Yes, that's correct.

23 Q.675 - So why would we be recovering costs associated with

24 Aliant poles through Disco's rate for its poles?

25 A. We are working on our facilities on those poles and

2 that's the reason why we have spread the calculation across
3 all joint use poles, not just Disco poles.

4 Q.676 - But we are talking about a fee for Disco poles, the
5 productivity costs on Disco's poles, are we not?

6 A. Well the correlation could be that you would use the 6,000
7 instead of the 9,500 and change the 291,000.

8 Q.677 - All right. So you agree with me that perhaps we
9 should be deflating the 9,500 by -- to represent the
10 ownership position, so it should be 57 percent of 9,500?

11 A. No, I do not.

12 Q.678 - You don't. But you are agreeing that some of those
13 9,500 are Aliant poles, is that correct?

14 A. Those are all work locations that Disco must work on.

15 Q.679 - All right. And again then if we go back to your
16 bullet, you have indicated that it's two minutes per crew
17 on each pole line, is that correct?

18 A. The result and calculation -- that's a summary statement
19 that would indicate that the result correlates to two
20 minutes per joint use pole.

21 Q.680 - Well what is it, Mr. O'Hara? Do you spend two minutes
22 per pole or not?

23 A. Spread across all the poles it's two minutes per pole,
24 yes.

25 Q.681 - It's two minutes per pole. But when I go down to your

2 part one calculation just below the header Calculation on this
3 page, I see \$130.95 which as I understand it is one hour,
4 is that correct?

5 A. That's correct.

6 Q.682 - It's not two minutes, is it?

7 A. No. The resultant from that calculation correlates to two
8 minutes per joint use pole.

9 Q.683 - Well, Mr. O'Hara, when you are going to divide by the
10 number of poles that would be the denominator, isn't it?

11 A. That's correct.

12 Q.684 - All right. So right now we are just talking about
13 what goes in the top, the numerator, and you have told me
14 it's two minutes, is that correct?

15 A. No, that's not correct.

16 Q.685 - Well why is that not correct? Because in your
17 evidence under the third bullet you say it's two minutes
18 per crew per pole?

19 A. What it says in that bullet is the general assessment is
20 this loss and productivity can be correlated to about two
21 minutes per crew per joint use pole.

22 Q.686 - So are you revising your evidence? Is it one hour per
23 pole or two minutes per pole?

24 A. It's one hour per location that we actually have to work
25 at. It's spread across all poles. It's two minutes

2 per pole.

3 Q.687 - Are you revising your evidence, Mr. O'Hara, or not?

4 A. No, I am not.

5 Q.688 - All right. Now could we look then at this

6 denominator. You have 291,085 joint use poles. I must

7 confess, I have seen a number of numbers of joint use

8 poles but I don't know where the 2,091 comes from. Can

9 you explain that to me?

10 A. That's 57 percent of our -- or sorry, that's -- yes,

11 that's 57 percent of the current number of joint use poles

12 in the province which is just over 510,000.

13 Q.689 - But in your part two calculation you use 560,000 and

14 that's because you went beyond joint use poles, is that

15 correct?

16 A. Potentially you can go beyond joint use poles in response

17 to trouble, and we wanted to ensure that Rogers had the

18 benefit of that by dividing those costs across all poles.

19 Q.690 - All right. But in your part one calculation then this

20 is presumably based on a number of all -- it's all joint

21 use poles, that's what you believe your 291,000

22 represents, is that correct?

23 A. That's all of Disco's joint use poles.

24 Q.691 - Oh, it's Disco's joint use poles. But you did tell me

25

2 that the 9,500 calls were to all joint use poles, is that
3 correct?

4 A. Yes, I did.

5 MS. MILTON: Mr. Chairman, I would like to try to finish
6 cross examination before lunch. I think I have about
7 seven minutes. I have one area to cover. Could you
8 indulge me for maybe 10 minutes? Or would you prefer to
9 break now and have me come back and do this?

10 CHAIRMAN: I think I will hold you to seven minutes. Go
11 ahead.

12 MS. MILTON: Thank you.

13 Q.692 - Mr. O'Hara, does Disco contract out its vegetation
14 management requirements?

15 A. Primarily yes, it's contracted out. We do do some
16 incidental tree-trimming with our in-house resources.

17 Q.693 - Are you aware of any restriction on Rogers' ability to
18 contract out its vegetation management activities to the
19 same people?

20 A. None whatsoever.

21 Q.694 - All right. Now I understand that vegetation
22 management with respect to the joint use arrangement
23 between Aliant and Disco -- I understand that vegetation
24 management is handled outside the basic framework of those
25 joint use agreements. And by that I mean you have got the

1
2 ownership shares. But then you pay vegetation management on
3 top of that, is that correct?

4 A. Yes. That's correct. That's as a result of the evolution
5 of the joint use partnership whereby over the years there
6 were give and take. We traded off for certain services,
7 that sort of thing, to avoid paying back and forth for
8 things.

9 And as we narrow down more and more on those, you end up
10 with some components that are kind of -- I will refer to
11 them as outliers I guess. And vegetation management is
12 one of those, whereby Aliant chooses to have us do that
13 work as opposed to them doing their 43 percent. They
14 would prefer to have us just manage all of it and pay us
15 to do it.

16 Q.695 - All right.

17 A. And that's most cost-effective, as you are able to manage
18 a provincial program. And you have the larger volumes.
19 You are able to have the one infrastructure in place in
20 regard to vegetation management supervision, forestry
21 personnel to oversee that development of standards and
22 those types of things.

23 Q.696 - All right. And so I understand as a result of that
24 that Aliant pays 30 percent of your annual vegetation
25 management costs, is that correct?

2 A. That's correct. That's the agreement.

3 Q.697 - And presumably that would be the amount that the
4 parties considered was appropriate to cover the cost of
5 vegetation management around the communication space on
6 the joint use poles plus Aliant's share of the clearance
7 and separation space. Would that be correct?

8 A. Well, again it may not just be specific to the vegetation.
9 Again because of the overall joint use partnership, there
10 are other services, as I had indicated, that are traded
11 off.

12 So that's where the negotiation resulted. There may be
13 other components of that involved again such as sharing of
14 offices or work planning systems, those types of things.

15 Q.698 - So are you saying that in this agreement where Aliant
16 has said it has paid 30 percent for vegetation management,
17 in fact there is -- it is also paying for other stuff?

18 A. I'm saying that there is give and take in a joint use
19 partnership. And there is other things that the two
20 utilities offset various costs with.

21 Q.699 - But by agreement Aliant has agreed to pay 30 percent
22 of your vegetation management costs, is that correct?

23 A. By agreement there is a cash component of 30 percent of
24 the vegetation costs. That's right.

2 Q.700 - All right. Now I agree that your evidence is that
3 your total annual vegetation management costs are 4.7
4 million, is that correct?

5 A. Yes. That's correct.

6 Q.701 - And that if you divide that over all of your joint use
7 poles you get a number of \$8.39 per pole, is that correct?

8 A. Actually we have -- no, that's not correct. We have been
9 a little more conservative than that and divided it over
10 all poles in the province, 560,000, not just the joint use
11 poles.

12 Q.702 - Because you are performing vegetation management on
13 all poles in that 4.7 million, is that correct?

14 A. No, that's not correct. We don't perform vegetation
15 management on non joint use. Disco -- or non joint use
16 Aliant-owned poles --

17 Q.703 - But it would include --

18 A. -- in that contract.

19 Q.704 - But it would include the non joint use Disco poles,
20 correct?

21 A. A very small number. There is in the order of 10,000 non
22 joint use Disco poles.

23 Q.705 - And are you telling me that Aliant has contracted to
24 have you do all this vegetation management for the joint
25 use poles, but it is doing its own on the few non joint

2 use poles that it has?

3 A. Yes. That's correct.

4 Q.706 - All right.

5 A. They require -- or they ask us to set contracts for work
6 where they need it done. And they pay 100 percent of
7 those costs.

8 Q.707 - All right. Now under the methodology that Disco is
9 proposing for setting a rate in this proceeding, the
10 vegetation management costs would be included as part of
11 the common cost, is that correct?

12 A. It's not part of the common cost, no.

13 Q.708 - Well, if we go back to the table of elements that was
14 circulated yesterday for your present -- there was a cost
15 chart that you used when you spoke yesterday. I'm afraid
16 I may have misplaced mine.

17 But my recollection is that vegetation management was the
18 upper part of the pole -- or the upper part. So it is in
19 fact included in F, row F, is that correct?

20 A. Yes. It is included in row F.

21 Q.709 - Okay. And now my understanding based on this chart is
22 that all of the elements in rows A through G are added up,
23 and then that you are proposing in row J that Rogers pay
24 30 percent of all of those elements, is that correct?

25 A. Yes. That's correct. But it doesn't provide that all

2 of those items A through G are considered common costs.

3 Q.710 - All right. But under your proposal Rogers would be
4 paying 30 percent then of the vegetation management costs,
5 is that correct?

6 A. Under our proposal Rogers would be paying 30 percent of
7 the total vegetation program, that's right.

8 Q.711 - All right. Thank you.

9 A. Sorry. They would be paying 30 percent of -- they are not
10 paying 30 percent of the total program. That's an
11 incorrect statement.

12 Q.712 - I think you told me that you have 4.7 million that you
13 spend annually on vegetation management, and that you have
14 allocated that over all joint use poles to get a number of
15 \$8.39 per month -- or excuse me, per year, is that
16 correct?

17 Now the problem with your table is you have included in
18 both your annual maintenance and your annual vegetation.

19 So we have the number of \$23.27. But I believe that
20 comprises of your amount for annual maintenance which we
21 are not disputing, plus this \$8.39, excuse me, for
22 vegetation management, is that correct?

23 A. That's correct.

24 Q.713 - All right. Thank you.

25 A. However, what I wanted to point out is that doesn't

2 equate to 30 percent of the total program. If Rogers was to
3 pay 30 percent of our \$4.7 million program, their
4 contribution would be in the order of \$1.4 million per
5 year.

6 Q.714 - On a per pole basis we are paying 30 percent of the
7 cost, correct, Mr. O'Hara --

8 A. On a per pole basis --

9 Q.715 - -- under your proposal?

10 A. Sorry. On a per pole basis of poles cut, you would be
11 paying actually in the order of 15 percent --

12 Q.716 - Well, if you pay --

13 A. -- based on this calculation.

14 Q.717 - Why would we pay for poles that we are not on?

15 A. You don't pay for poles that you are not on.

16 Q.718 - All right. Thank you. Just one last thing. I would
17 like to take you again back to our joint use manual and
18 the excerpts. It is page 2-9. This is also included in
19 your own evidence. I'm just referring to this copy
20 because it is -- we don't have to get out another binder.

21 A. I'm sorry. Which page is that?

22 Q.719 - Page 2-9. Do you have that, Mr. O'Hara?

23 A. Yes, I do.

24 Q.720 - Now I believe these pictures are showing what the
25 vegetation management standards are for your poles, is

2 that correct?

3 A. Yes. That's correct.

4 Q.721 - All right. Now the pictures are all -- they are not
5 identical, but they have the same kind of shape to them.
6 So I wonder if we could just go to the one in the bottom
7 right-hand corner. Do you have that, Mr. O'Hara?

8 A. Yes, I do.

9 Q.722 - All right. And as I understand the diagram, there is
10 a large outside arch. And that would be the arch that
11 depicts the clearance requirements around all of the
12 facilities on the pole. And most particularly the arch
13 goes up and around the power facilities, is that correct?

14 A. Yes. That's correct.

15 Q.723 - And as I understand it then there is an inside arch
16 there. And there is in fact -- it goes around the area
17 where we have the arrow going in that -- that is labeled
18 NB Tel and cable.

19 And my understanding is that would be the area that needs
20 to be cleared for the purpose of the communications
21 attachments, is that correct?

22 A. Yes. That's correct.

23 Q.724 - And would you agree with me that these tree-killing
24 standards don't change if there is -- how can I phrase
25 this simply? Do the tree-clearing standards change if you

2 have more than one communications user on the pole?

3 A. No, they do not.

4 Q.725 - All right. And would you agree with me that this arch
5 around the communications space, if I can call it that,
6 but it includes obviously shared space, the clearance
7 space, would you agree with me that that arch is very
8 considerably smaller than the larger arch we see around
9 the power space?

10 A. Yes. It is smaller. And if you do the calculation as to
11 what that arch is and consider the reality of cutting
12 trees, depending on which one you are looking at -- for
13 example if we looked at the -- well, look at -- use the
14 one that you are referring to.

15 The width of that piece that's being cut for communication
16 is about 30 -- is 30 percent of the width, the total width
17 of that. And for this type of clearing you would be
18 cutting trees within that range on both sides of the pole.

19 And as a result that's clearing about 30 percent of the
20 area.

21 MS. MILTON: All right. Thank you, Mr. O'Hara. Those are
22 all my questions.

23 CHAIRMAN: I must commend you on your accuracy of cross
24 examination time. Mr. MacNutt, take note. We will break
25 until 1:15.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. RUBY: Mr. Chair, before we break, if I could just ask one question. I have a couple of questions in the re-examination that I will do after lunch. But in the usual course I wouldn't speak to the witness before I do that. But since Ms. Milton has asked for an undertaking to be fulfilled, I suspect I may need Mr. O'Hara's assistance to do that.

So with the Board's indulgence and the consent of Ms. Milton, I would ask to be relieved of my obligation to the extent of getting that undertaking answered over lunch if we can.

CHAIRMAN: I see no difficulty with that.

MR. RUBY: Thank you.

(Recess - 12:10 p.m. - 1:15 p.m.)

CHAIRMAN: Good afternoon. Any preliminary matters?

MR. RUBY: Yes, Mr. Chairman. Two. The first is an issue arose with one page might have been incorrect in the joint use manual Ms. Milton was referring to. To the best of our information the manual that the Board has is correct. That said, we have provided to the Board Secretary copies of the page that Mr. O'Hara says is absolutely the right one. So there shouldn't be any confusion going forward.

CHAIRMAN: Okay. Certainly the one that Commissioner Dumont and I were looking at did not have the figures that the

1

2 witness --

3 MR. RUBY: Well that's why we figured we would be safe and
4 provide you with the page.

5 CHAIRMAN: Well, that's great. Thank you. And the other
6 one?

7 MR. RUBY: The second one is we have an answer to the
8 undertaking. The Board Secretary I believe has a printed
9 copy of the answer. But perhaps I can just ask -- since
10 Mr. O'Hara is here I can just ask him to answer directly
11 on the record.

12 CHAIRMAN: Why don't you?

13 MR. RUBY: Mr. O'Hara, you have been asked to provide the
14 date in which page 1-26 from the NB Power/Aliant joint use
15 manual was revised. What was that date?

16 A. July 23rd 1999.

17 MR. RUBY: Thank you.

18 CHAIRMAN: Okay. Ms. Milton, are you through your cross?

19 MS. MILTON: Yes, I am, Mr. Chair.

20 CHAIRMAN: Okay. Mr. Gorman, do you have any questions of
21 this witness?

22 MR. GORMAN: We have no questions of this witness, Mr.
23 Chairman.

24 CHAIRMAN: Thank you. Does Mr. -- Public Intervenor have
25 any questions?

2 MS. YOUNG: I guess not at this point, Your Honour.

3 CHAIRMAN: Mr. MacNutt, does Board counsel have any
4 questions?

5 MR. MACNUTT: Board staff has no questions, Mr. Chairman.

6 CHAIRMAN: Thank you. I think there may be some questions
7 from some of the Commissioners. You save your re-direct
8 until after that. They will probably be the most
9 difficult questions of all.

10 BY THE BOARD:

11 MR. TINGLEY: Yes, Mr. O'Hara. You stated in your evidence
12 that NB Power started using treated poles in 1978? I
13 believe that was --

14 A. Yes, that's correct. We began specifying fully treated
15 poles in 1978.

16 MR. TINGLEY: But there were poles in the ground -- treated
17 poles in the ground before '78, is that right? So they
18 would be Aliant poles I assume, or NB Tel at the time.

19 A. NB Tel was purchasing some treated poles. We were
20 purchasing primarily untreated eastern cedar poles.

21 MR. TINGLEY: So Aliant would have had a considerable amount
22 of poles in the ground by 1978?

23 A. I'm not sure how many poles they would have had. They
24 would have certainly had poles in the ground by 1978, yes.

25 MR. TINGLEY: Okay. Thank you. You don't know at what

2 point they started putting poles in the ground and how many?

3 You don't have that information?

4 A. I'm sorry, I don't have that information, no.

5 MR. TINGLEY: Thank you.

6 MR. SOLLOWS: Thank you, Mr. Chairman. Mr. O'Hara, what is
7 the average utilization of available power space on your
8 poles? How much extra space have you included for future
9 requirements?

10 A. Our construction standards account for future requirements
11 such as the installation of a transformer, those types of
12 things. If the requirements going forward exceed then
13 there would be a need to upgrade the pole at that time to
14 potentially a taller pole for some unknown reason.

15 MR. SOLLOWS: Have those allowances been revised based on
16 the -- sort of the flattening out of load growth and the
17 projected perhaps stabilization of reduced growth rates?
18 Basically they used to be growing at five and seven
19 percent, now it's one and two. Have you changed your
20 allowances to take into account that change in growth?

21 A. The standards that we are building to today have been in
22 place for a number of years. We did revisit them in 1995
23 but didn't make changes to those standards.

24 Some of the other factors that -- there is load growth

2 is a requirement to change out poles and whatnot, but we have
3 had a very aggressive program in the '90s as well to get
4 rid of any of the older eastern cedar poles that were
5 still in the ground as we were beginning to see a fair bit
6 of difficulty with those under, you know, normal winter
7 weather and those types of things. So --

8 MR. SOLLOWS: Thank you. I also heard you say in response
9 to a question that you have a fairly careful exercise that
10 you undertake to determine those cases where you will put
11 in a pole that exceeds the minimum standards. I guess my
12 question is if you are going to exceed those standards do
13 you -- what kind of decisions -- do you have discounted
14 cash flow analysis or what type of information do you base
15 your decision to exceed standards on?

16 A. They would strictly be based on the safety aspects. We
17 may determine to exceed standards for example in an
18 industrial park area where there may be trucking
19 businesses or other things like that that we may be
20 reasonably aware of, those types of things. So we may
21 tend to exceed some of the minimum clearances in those
22 cases to ensure an additional safety factor.

23 MR. SOLLOWS: Thank you. On average you must do some design
24 calculations I suppose when you place a pole. What I want
25 to get to here is you talked about sag and the size of

2 pole and the class of pole and a type. What weight do you use
3 in your design calculations for the power related material
4 that is attached to a pole and what weight do you use for
5 the telecom related material that is attached to a pole?

6 A. I can't indicate exactly which weight but what we have
7 developed is large tables that would indicate with certain
8 types of facilities on a pole what class of a pole would
9 you require, in addition to with those types of facilities
10 such as size of wire or different things, in conjunction
11 with the span length that you are intending to build to,
12 what class of pole would be required.

13 So they have gone through the engineering analysis of that
14 and created tables for people to refer to.

15 MR. SOLLOWS: Does the -- where this is coming -- you had
16 mentioned that there seems to be a lot of dispute around
17 anchoring and guying, or some matter of concern. I guess
18 I'm wondering does the amount of anchoring and guying that
19 is necessary on a pole vary with the weight that it has
20 to support?

21 A. The anchoring and guying is primarily a factor on angle
22 structures. So you have got -- it's not just the weight,
23 it's moreso the tension that the conductor and strand is
24 built at. So it would counteract those tensions

2 that's --

3 MR. SOLLOWS: The tension arises from the weight of the
4 conductor?

5 A. Well the tension arises if you have got a -- if you have
6 got a structure and the line is coming at it and then
7 intended to turn, the tension that is on this strand,
8 which could be a Rogers' strand for example, and the
9 tension that would be on the conductors up top, that sort
10 of thing, would be fine. The size of anchor and
11 potentially how many of them, joint use anchoring, for
12 example if this is the communications space and the power
13 facility is up here can be attached to support both of
14 those. Or there may be a requirement for separate guys to
15 a common anchor or potentially multiple anchors and
16 multiple guides.

17 MR. SOLLOWS: Thank you. One last thing just to clarify.
18 Looking as we did earlier this morning at your joint use
19 policy manual we were referred to page 2-9, and it's
20 labelled Initial Design Standards for Tree Clearing. Have
21 those design standards changed? Are there revised
22 standards for tree clearing?

23 A. No. Those are the standards required upon new
24 construction and once the trees have encroached to reduce
25 that by 50 percent, our cycles are such that we would then

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

go and trim out that vegetation back to this same initial clearance.

MR. SOLLOWS: Okay. One last question I guess. You mentioned earlier today about a GIS survey that you had done?

A. We implemented a geographical information system about three years ago.

MR. SOLLOWS: What data does that capture and what level of detail?

A. It captures a great deal of data. We intend as we go forward to have that repository for -- to be utilized as our asset management records. Currently the level of detail varies depending on particular types of facilities.

For example, the detailing there with respect to main line poles with our primary facilities on them and switches and whatnot is extremely accurate. It's the model that we actually operate off of. It's linked to our outage management system. So through that we do our switching, taking work permits and things like that. It's very accurate. I would say it's 100 percent accurate with respect to that.

It's accurate with respect to for example kilometres of right-of-way that we have because we have actually got it modelled now. It's accurate with respect to numbers of

2 certain types of equipment, transformers. The reason why we
3 know that's accurate is because all of our customers are
4 attached to the system via the transformers and all of our
5 customers are connected and when they call us if their
6 power is out, that sort of thing, we know where they are
7 and what pole they are fed off of.

8 So then there is, you know, other pieces of equipment that
9 -- or other pieces of information that haven't as yet been
10 populated in that system or are evolving as we clean that
11 up through field audits or different things like that.

12 MR. SOLLOWS: So would it be fair to say that in terms of as
13 a source for data, your GIS system, if it is -- if it
14 contains the information, it's probably the best source or
15 the most reliable data you would have for assets that you
16 have out on the system?

17 A. From an operational perspective there is no question.

18 MR. SOLLOWS: Thank you. That's all. Thank you.

19 CHAIRMAN: Go ahead, Mr. Ruby.

20 MR. RUBY: Thank you, Mr. Chair.

21 REDIRECT EXAMINATION BY MR. RUBY:

22 Q.726 - Mr. O'Hara, I'm sure you will be very glad to hear at
23 this point that I only have very few questions left for
24 you, before you can stand down. But before you make a run

2 for it, can you turn up again IR number 17 in exhibit A-68.

3 This is the productivity calculation that Ms. Milton was
4 dealing with at the end of her examination.

5 Now do you remember discussing with Ms. Milton the 9,500
6 poles that are at page 2 of that IR response? It is about
7 two-thirds of the way down the page.

8 A. Yes, I do.

9 Q.727 - Okay. And you told Ms. Milton that some of those
10 poles were Aliant-owned poles, right?

11 A. Yes. That's correct.

12 Q.728 - And I think you made reference to your 9,500 number
13 was conservative, right?

14 A. Yes. That's correct. It is.

15 Q.729 - What I would like you to do for the Board is, leaving
16 aside what is in this IR response and taking out the
17 Aliant poles, the 3,000 odd Aliant poles you told Ms.
18 Milton about, start with the 6,000 poles you started --
19 you talked about the Disco poles. And don't be so nice
20 and conservative. And tell the Board, to the best of your
21 ability sitting here -- and I understand you have the
22 numbers in front of you -- how many poles and why, if you
23 were doing this on a not conservative basis, how many
24 poles you would include?

25 CHAIRMAN: Mr. Ruby, this is redirect.

2 MR. RUBY: Right.

3 CHAIRMAN: And it is simply to clear up any questions that
4 have arisen as a result of cross examination that you as
5 able counsel could not have perhaps foreseen coming down
6 the pipe.

7 And with frankness, sir, this is a contentious page. And
8 we went over and over and over. I think you should go on
9 to your next question, sir.

10 MR. RUBY: Thank you, Mr. Chair.

11 Q.730 - Still though on this page if I can ask one question on
12 a different issue. You have mentioned, and there was some
13 talk about the sentence at the third bullet about
14 productivity being corelated to two minutes?

15 A. Yes. That's correct.

16 Q.731 - And I certainly found it confusing. Can you just do
17 the math for the Board on how you get to that?

18 A. It's just simply a factor of the value of two crew minutes
19 based on 130.95 multiplied by the total number of joint
20 use poles results in that same \$4.27.

21 Q.732 - Thank you. One last question on a different topic.
22 You talked about the application of the CSA standard in
23 the real world. Does the CSA standard itself require
24 increased clearance to account for reasonably known
25 obstacles that lie in the path of a pole line?

2 A. Absolutely. They are very clear in their documentation
3 that the designer and installer of poles must take into
4 account any reasonably known factors that could occur over
5 the life -- expected life of that line.

6 MR. RUBY: Thank you, Mr. O'Hara. Those are my questions.

7 CHAIRMAN: Thank you, Mr. Ruby. Thank you, Mr. O'Hara. You
8 are excused. Thanks for your testimony here yesterday and
9 today.

10 MR. RUBY: Mr. Nicholson, if I may suggest, Mr. O'Hara has
11 marked up a whole lot of flip charts. I'm in the Board's
12 hands as to whether it wishes it marked as an exhibit and
13 held for the Board's review.

14 MS. MILTON: I don't have copies of those. So I have a bit
15 of a problem with that.

16 MR. RUBY: None of us do. So like I say, I'm in the Board's
17 hands as to whoever wants to handle it.

18 CHAIRMAN: I think that we were able to absorb the
19 explanations that were assisted by those drawings. And we
20 thank Mr. O'Hara for his fine penmanship. But I don't
21 think we want them as an exhibit. Okay. And you want to
22 call your next witness?

23 MR. RUBY: Yes, Mr. Chairman. I would like to call
24 Dr. Bridger Mitchell.

25 And, Mr. Chairman, while Dr. Mitchell is getting set

1

2 up, we had arranged with Board Staff to make an attempt at a
3 slightly high-tech version of his evidence using a Power
4 Point presentation. So it may take a moment, even with
5 all the engineers in the room, to get this set up.

6 CHAIRMAN: With the engineers as Commissioner Sollows, it
7 would probably take an hour. Do you want us to take a
8 break and you let us know when you are ready to roll?

9 MR. RUBY: Well, we did get this working earlier. So I'm
10 hoping it will only be a minute and not an hour. But if
11 that doesn't work in a minute maybe we will ask for a
12 break.

13 Mr. Chairman, while Dr. Mitchell is getting set up, just
14 in the interest of efficiency, there are a few items that
15 we were going to introduce and provide to the Board during
16 the course of his examination.

17 Without marking it as an exhibit at this point perhaps we
18 can ask the Secretary to pass them up and use the time
19 while he is getting set up as well.

20 CHAIRMAN: Well, look, I have this rule on my desk at the
21 office to don't give me anything until I need it because I
22 will lose it. So I will ask the Secretary to keep it
23 there if she would until you are ready to introduce. And
24 I presume you have shown it to counsel opposite?

25 MR. RUBY: Yes.

1 - 3183 - Dr. Mitchell - Direct -

2 CHAIRMAN: Okay. Great.

3 MR. RUBY: Though I should say one of the slides, a copy of
4 the slides which we have extranged.

5 CHAIRMAN: Well, I think that that is appropriate, at which
6 time --

7 MR. RUBY: We have done that.

8 CHAIRMAN: -- we will mark those.

9 DR. BRIDGER MITCHELL, having been duly sworn, testified as
10 follows:

11 DIRECT EXAMINATION BY MR. RUBY:

12 CHAIRMAN: My records indicate that this copy of these
13 slides would be A-74.

14 MR. RUBY: Thank you.

15 CHAIRMAN: Ms. Milton, you have had an opportunity to review
16 the slides. Do you have any problems with them?

17 MS. MILTON: I believe I saw a version of these on Friday.
18 So presuming there is no change, yes.

19 MR. RUBY: No. Nothing has been changed.

20 CHAIRMAN: I feel certain there would be no change. Good.
21 Thanks. Go ahead, sir.

22 MR. RUBY: Thank you.

23 Q.1 - Sir, can you please introduce yourself to the Board?

24 A. My name is Bridger Mitchell. I'm a Vice-president at CRA
25 International in the Palo Alto, California office.

2 Q.2 - And do you hold a Ph.D. in Economics from MIT?

3 A. Yes, I do.

4 Q.3 - Thank you. And I gather from your résumé, and I won't
5 take you through the whole thing, that you are the author
6 of a number of papers and books concerning economics?

7 A. Yes.

8 Q.4 - Some in cable? Some concerning the cable industry?

9 A. Yes. Some of my earliest research was published in
10 regulatory journals on the economics of cable television
11 firms.

12 Q.5 - And have you addressed the telecommunications industry
13 as well?

14 A. I have done an extensive amount of work in
15 telecommunications, more generally published a number of
16 papers and two books in that field.

17 Q.6 - And can you tell the Board a little bit about your work
18 in the area of cost analysis?

19 A. Well, specifically the first work that I did in the cable
20 television, with respect to the cable television industry
21 was to construct an economic model of the costs of a cable
22 television network operator with particular reference to
23 regulatory -- alternative regulatory treatment of the
24 rates and costs of the cable firm in a municipal setting.

2 Subsequently I conducted a major project for the
3 California Public Utilities Commission that was co-
4 sponsored by the two major California local telephone
5 companies. And that focused on designing and estimating a
6 model of a cost structure of local telephone networks.

7 I have also participated extensively in modeling costs for
8 cellular telephone networks in the United States and for
9 an integrated national telecommunication carrier in
10 Australia.

11 Q.7 - You have also done some work with pricing analysis?

12 A. Yes. I published a book on the pricing of
13 telecommunications, another book on peak load pricing for
14 electricity incorporating analysis that we did of
15 utilities in the United Kingdom, Sweden, Germany and
16 France.

17 At one time I directed, co-directed a rate experiment for
18 residential customers in the city of Los Angeles for that
19 large municipal utility. And I published a number of
20 papers on electricity pricing.

21 Q.8 - Thank you. And coming right back to this proceeding,
22 are you the co-author with Dr. Adonis Yatchew of the
23 prefiled expert report under your name and Dr. Yatchew's
24 name?

25 A. Yes, I am.

2 Q.9 - And do you adopt that report as your evidence for the
3 purpose of this hearing?

4 A. I do. I would like to take the opportunity to correct for
5 the record one typographical mistake there. It's on page
6 14 at line 30. And in that line the number 17 --

7 CHAIRMAN: Just a moment, Doctor. What exhibit number would
8 that be?

9 MR. RUBY: Exhibit A-64.

10 CHAIRMAN: A-64.

11 MR. RUBY: A-64.

12 CHAIRMAN: All right. Just give us a moment, Doctor. We,
13 of course, have committed this to memory, Doctor, that's
14 why there is only one of them here. And what page was
15 that on?

16 WITNESS: I have page 14, Mr. Chairman, line 30.

17 CHAIRMAN: I have that. Go ahead, sir.

18 WITNESS: And in that line it says 17 feet. And the number
19 should be 19 feet.

20 CHAIRMAN: And that's it?

21 WITNESS: As far as I know that was the only correction.

22 CHAIRMAN: Thank you. Carry on.

23 MR. RUBY: Thank you.

24 Q.10 - Dr. Mitchell, have you ever appeared before as a
25 witness before this Board?

2 A. No, I have not.

3 Q.11 - Have you appeared as a witness before any other energy
4 regulator in Canada?

5 A. Yes. I appeared before the Ontario Energy Board.

6 Q.12 - With respect to what subject?

7 A. A basically similar subject. Attachment fees for joint
8 use poles and the cost allocation of those fees -- or the
9 cost of those attachments.

10 MR. RUBY: Thank you. Mr. Chairman, I would offer this
11 witness as an expert witness with respect to economics?

12 CHAIRMAN: Ms. Milton?

13 MS. MILTON: I have no objection.

14 CHAIRMAN: All right. We will so recognize the witness.

15 And we were getting -- I don't know if it's me, the time
16 of day or what, but we are getting a buzz up here, a high
17 pitched whine. And I see the man is back at his post, so
18 perhaps he has got that. Yes. Okay. Fine. Carry on,
19 sir.

20 MR. RUBY: Thank you.

21 Q.13 - Dr. Mitchell, have you prepared a presentation of your
22 evidence rebutting the Rogers' evidence filed at the end
23 of December?

24 A. Yes.

25 MR. RUBY: And, Mr. Chairman, without further interference

2 from me, what I propose to do is allow Dr. Mitchell to provide
3 you with his evidence in that regard.

4 CHAIRMAN: Okay. Go ahead.

5 Q.14 - Dr. Mitchell?

6 A. Thank you. Mr. Chairman, Members of the Board, I am
7 happy first to note that efficient engineering is alive
8 and well here and if my computer holds up, we should move
9 through this just fine.
10 The report and my discussion with my colleagues from the
11 records -- from the Rogers' panel will I think
12 continuously focus on a 40 foot pole and the standard
13 dimensions that apply in New Brunswick. Notwithstanding
14 that in the real world poles do have different heights or
15 different requirements and so on. But I think it's
16 generally accepted that for purposes of dealing with the
17 concepts of cost allocation, it's helpful to work with a
18 single so-called standard pole that represents most of the
19 actual poles to which it would be applied.
20 However, the methodology is general. It can be applied to
21 other circumstances and other dimensions.
22 And the report that Dr. Yatchew and I prepared applies the
23 findings of mainstream economic analysis to this problem
24 of how to fairly share the costs of joint use poles.

2 Now we are quite familiar with the basic diagram and the
3 overall situation. Three companies, I label them
4 abstractly A, B and C, share a pole structure. They
5 attach their fixtures in dedicated segments of the pole,
6 where they have exclusive use of that portion of the pole.
7 The pole also requires varied clearance and separation
8 spaces. Those spaces are equally required by every
9 company, A, B and C. And together those spaces constitute
10 the common portion of the pole.

11 So just to be very clear about the terminology that I will
12 use, the dedicated portions are used exclusively by
13 individual companies. The common portions are shared.
14 And of course, the task is how to allocate the total cost
15 of the pole among the three companies and to do so fairly.

16
17 Now it's absolutely common sense, of course, that it is
18 efficient to have a single pole rather than duplicate
19 poles. It's widely in the public interest, that's
20 generally understood. And so the question for an
21 economist looking at this problem is how to bring that
22 about effectively and how to reach an understanding as to
23 what constitutes a fair division of those costs of a
24 single pole.

25 So I want to review with you and contrast at relevant

1
2 points my interpretation of this problem with Professor
3 Ware's.

4 But as a general matter, cost allocation is something that
5 occurs in all kinds of circumstances throughout the
6 economy. In the paper we used a very simply example of
7 taxicabs that many of us, of course, are familiar with in
8 daily life. It has been applied to power flows in
9 transmission systems. It has been applied even to rocket
10 launches, where you have multiple payloads on a single
11 rocket and need to determine how to share that cost among
12 different satellites or other objects that are being
13 launched into space.

14 One of its earliest applications was to multi-purpose
15 water projects in which electric power is one of the
16 outputs, but control of rainfall and runoff is a second
17 output and simple recreation use of dammed water for
18 recreational purposes is a third. How to share the costs
19 among those different activities.

20 Computer networks have the challenge of how to divide up
21 the cost of a network among their users. University
22 telephone systems and so on.

23 As one of the economists who wrote perhaps the key piece
24 of academic literature surveying this whole area of cost
25 allocation, he said something like there are people

1 who use game theory all the time without even suspecting it.

2 And indeed it is the theory of co-operative games, a
3 rather jargon-loaded phrase, but basically the idea of a
4 systematic study with economic science of how people co-
5 operate and can be induced to co-operate in order to
6 reduce costs or increase the benefits that they enjoy by
7 working together, rather than going off and building
8 separate poles or separate rocket launches or separate
9 computer networks.

10 There are three types of objectives or principles that
11 flow out of this economic analysis. The first is to
12 achieve efficiency. In our case that means ensuring that
13 a single pole is put up where it is least costly, which is
14 I think almost universally going to be the case, rather
15 than multiple poles.

16 Second to provide financial incentives so that the
17 different firms will indeed get together and build a
18 single pole and not be at loggerheads about who is going
19 to pay for it or have the incentive to leave a co-
20 operative situation and go off and duplicate that
21 investment.

22 And then what is we think the central challenge in this
23 application, how to achieve that division on the basis of
24 something that the parties will themselves and
25

2 outside observers judge to be fair and equitable.

3 I might say one more thing about the example in the
4 electric power industry. This is one that has been
5 studied to a considerable degree. We have a power network
6 where power from different generators and different
7 consumers that is flowing back and forth in both
8 directions across several nodes of the network. This is a
9 network that has already been built. And the challenge is
10 what constitutes fair charges for dividing the cost of
11 that infrastructure? And game theory is applied to
12 exactly this sort of problem.

13 So really contrary to Professor Ware's assertion in his
14 evidence, this is the relevant science for examining the
15 economics of sharing and how to deal with those costs,
16 allocate them among the parties participating in a common
17 project. And it lies exactly in the mainstream of
18 economic analysis. These are too quite technical, but
19 central references in the academic literature on this the
20 first is in the Handbook of Game Theory and Economic
21 Applications with overall editorship from Kenneth Arrow
22 and Mike Intriligator. A very senior established
23 economist. Ken Arrow is one of the Nobel Prize winners in
24 the early days of the Nobel Prize.

25 And then another paper which applies these principles

1
2 directly to electric power networks.

3 What principles do we derive from economic theory? First,
4 efficiency. There should be sharing where there are
5 common costs so that total costs can be reduced. And that
6 total costs would therefore not be larger than they need
7 to be.

8 Second, this division of cost or the assignment of fees or
9 however these revenues are to be raised, should be such
10 that each participant is induced to co-operate. And that
11 means that each user pays at least all of the additional
12 costs that he causes by joining up with the common
13 enterprise. And at the same time no user is charged more
14 than it would cost him to go off and conduct this activity
15 by himself.

16 The jargon there is incremental cost. That's the
17 additional cost. And the stand alone cost, being the cost
18 of a go it alone sort of operation.

19 Now I think Professor Ware and I are in agreement about
20 the use of economic terminology here and how it would
21 apply to joint use poles. Professor Ware in his evidence
22 points to what he calls, usable space, as constituting the
23 measure -- well-defined measure of incremental cost. The
24 cost of occupying that usable space. And goes on to say
25 that no participant should pay

2 less than it would cost to -- then it would take to add their
3 need to a facility created for another participant. The
4 incremental cost test.

5 So that concept of incremental cost includes the capital
6 cost and the operating cost of adding another user to the
7 facility.

8 But here there is a conflict, because Mr. Ford is using a
9 different methodology and one that really departs from the
10 basic economic concepts.

11 In his evidence at Question 15, he is including only
12 administrative costs and loss in productivity as a measure
13 of additional costs. And indeed says that to ensure that
14 subsidization of a cable operator by the owner of a pole
15 does not take place, the pole owner must recover from the
16 cable operator all direct costs associated with the use of
17 the portion of the communication space. That is in his
18 methodology the administration costs and the loss in
19 productivity, but none of the costs of the use of the
20 usable space, the capital costs and the operating costs
21 associated with that.

22 So that is a fundamental difference here between the
23 economists and the other parties appearing.

24 But let me turn to what I think is the focus of the
25 analysis that Dr. Yatchew and I have attempted to provide.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

And I think where many of the differences in position or understanding occur between Professor Ware and myself and I will try to focus specifically on those for you. There are several ways to reach a point of sharing of the total costs of a pole that are both efficient and have proper incentives. That is they don't result in cross-subsidies. Not a single solution, but a set of possible solutions. And the challenge then is to think carefully about those solutions and the kind of evidence that can be brought to suggest which are the most appropriate in our situation. We have undertaken to do that and to boil down what is admittedly somewhat complex technical economics in game theory to some quite basic common sense rules, what we call benchmark rules, for sharing costs. And have included that and some examples including examples from taxicabs, actually, in our paper. But let's look at the first benchmark here. What we call rule number 1, a candidate for fair division of costs, is that the costs of the equally required segments of the pole are shared equally and additional costs are borne by each user individually. So it conceptually divides the pole up into those two

2 parts, the shared portions and the individually dedicated

3 portions. So each user causes costs of the common portion

4 of the pole to be incurred. No user could have service

5 without having all of the underground and clearance space

6 on a pole. Every user requires all of that space to be in

7 place, all of that portion of the pole to be in place.

8 But in addition of course, each user requires some space

9 solely for its own use, for its own attachments. And so

10 the rule boils down to adding up these two parts, an equal

11 share of the common cost, so if there are two users, you

12 divide by two, if there are three, you divide by three.

13 Plus the costs of the space dedicated to the particular

14 user we are looking at.

15 Now here is a different example from taxicabs but I think

16 it helps make the point quite clearly. We have something

17 -- let's say it's a water pipeline, two towns, A and B,

18 with the same populations, that are located at some

19 distance from the source of water. And for much of the

20 route, I just suggest 30 miles in the example, it is

21 possible for them to share a single pipe and at the end of

22 that point, the pipe gets split and routed to the two

23 different towns.

24 From the junction point, the two towns are of different

25 distances. Two miles for A, eight miles for B.

2 And what we call the standard cost allocation is that each
3 town would pay for its dedicated pipe, two miles or eight
4 miles of pipe in those two cases, and the two parties
5 would decide how to share the remaining cost of the common
6 pipe. And the commonsense approach to this is the two
7 towns would share equally in that 30 mile.

8 Now contrast this with Professor Ware's allocation. He
9 would have A pay for two miles and B pay for eight miles,
10 but in the sharing portion, he would have A pay for only
11 20 percent of that pipe and B for 80 based on the so-
12 called relative use of the dedicated portions of the
13 network.

14 Now you can imagine, you know, modifying the example to
15 the point where A is located only 100 feet or so from the
16 junction. And see readily that you get radically
17 different solutions to this very simple cost allocation
18 problem if you adopt Professor Ware's methodology of
19 relative use. Where the fraction of the dedicated
20 distance accounted for by one town is minuscule, it will
21 bear almost no cost of the shared portion of the pipe at
22 all -- the pipe network.

23 Let's go to the second benchmark. A different way of
24 thinking about the basic problem but here focusing on what
25 the two or three users gain by cooperating and looking at

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the savings and the costs they would otherwise occur. So this is explicitly looking at an alternative world versus a sharing world.

This rule number 2, each user would share equally in the savings derived from not constructing sole poles or stand-alone poles. So we think of each user designing its best pole just for its own requirements, taking no account of any other attachments.

The total costs of two or three poles with two or three users would be higher than a single pole. Compare that to the cost of a joint pole and divide those savings equally. So start with stand-alone costs and then subtract 1/2 or 1/3 of the savings depending whether there are two or three users.

Now it turns out in our applications for this type of joint pole rules 1 and rule 2 actually yield the same percentage shares. That is in the general principle. It wouldn't apply to other types of cost structures necessarily. But it does indicate that a different view about what is fair, that is thinking in this case about it's fair to -- can thought to be fair to share equally in savings when you engage in a joint product -- project brings you to the same -- in this case, same numerical

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

answer.

Our third benchmark. Here we consider relative benefits to different users who have different cost and dedicated space requirements. Each user's proportionate share of the total cost is its percentage share of the sum of the individual stand-alone costs.

So users that have a greater dedicated space are responsible in this view for a larger share of the total stand-alone costs and so they share in the joint pole costs in proportion to their share of the total costs of three separate poles.

Now this is another point where Professor Ware and I are differing. This produces a different share than the first two rules in the applications that we have here for joint poles. And it is a rule which takes in to account benefits differing from one user to another. So it is in relationship to the relative benefits obtained by the different parties.

I want to turn now to some of the central points in Professor Ware's commentary. First, it is built around a model which for this application is incorrect. The so-called relative use model. And you can see from the quotation from his paper, that he wants to allocate the costs of the shared portion of the pole, what I have

2 called the common portion in proportions to the amount of
3 space used in the dedicated part of the pole.

4 So that's the idea and it has a certain superficial
5 appeal, if you use more you should pay more. And in some
6 applications that is good economics. But in this
7 particular application, it does not hold up. And here is
8 why. Each user, power, telecom and cable, make the same
9 demands on the common portion of the pole. It's not the
10 case that the power company needs more clearance than the
11 cable or the telecom company. They all need that same 17
12 feet of space in order to have carriage of their wires.
13 So they each and all cause the same common costs. And
14 from that we can conclude, looking at it from an equitable
15 portion -- point of view, that it is fair for them to
16 share those costs equally. They are equally responsible
17 for those costs.

18 The second reference, Professor Curien's paper from the
19 Power Transmission Book, puts it this way. A pure fixed
20 cost -- a pure fixed cost should be allocated equally
21 since the presence of any single output is insufficient to
22 cause the whole cost.

23 That is exactly the situation we have here. Any single
24 output, power, telecom or cable sufficient to cause the
25 whole of the common cost of the pole. Now I hasten to

2 add that relative use can indeed be a relevant principle in
3 other applications with different kinds of cost
4 structures.

5 Imagine for example a parking lot in a shopping mall. The
6 parking lot is used in common by all customers who come to
7 any of the shops in the shopping centre. And in a rough
8 and ready sense it is probably the case that larger shops
9 attract more customers and need more parking. So we have
10 a common resource, the amount of which is determined by
11 the number of customers coming to different sized stores.
12 And it then has at least an initial possibility to say the
13 common costs of the parking lot should be allocated in
14 proportion to or a greater amount to larger stores than
15 smaller stores. Because their activity of building larger
16 stores drawing more traffic, will indeed bring more --
17 more users to the parking lot.

18 And that model in fact may apply to many other situations,
19 including many regulated settings. It has, I think, been
20 quite sensibly argued that in the telephone network, long
21 distance and local service share the costs of a local
22 telephone switch. If long distance service increases,
23 long distance calls double, it may well be necessary to
24 increase the size of the local telephone

1 switch in order to accommodate that. So that common cost is
2 being driven by the demands of long distance service and
3 allocating local telephone switch costs in proportion to
4 traffic, long distance and local traffic in that setting
5 makes a fair degree of economic sense. But it is because
6 of this causality connection between the use of the
7 dedicated activity and the common activity that it holds
8 up, a relationship that we simply don't have in the case
9 of joint use poles.
10

11 Let me come at this again from some additional
12 information. The joint use approach will not satisfy the
13 concepts of a co-operative game theory, the economic
14 analysis that applies to sharing of common resources. Two
15 firms or three firms who would be brought together and try
16 to reach an agreement about how to divide these costs on
17 their own with no regulator in the picture would not agree
18 to the shares that are being predicted by the relative use
19 approach.

20 Now in order to apply that test you would of course need
21 to have firms that are juxtaposed in relatively equivalent
22 positions in terms of being able to strike bargains and
23 have alternatives and so on.

24 And that's exactly the situation we have when we look to
25 the decades of history across Canada with joint use

1 poles between telecom and power companies. They have
2 negotiated without being interposed by regulators their
3 own agreements for how to divide the cost of poles and in
4 effect have reached sharing agreements that are in the
5 order of 60 percent of the cost being borne by power, 40
6 percent more or less by the telephone companies. Those
7 agreements exist in this province, in Nova Scotia, British
8 Columbia, in Quebec and in Ontario. And perhaps elsewhere
9 in Canada. We didn't have the time to pursue all of the
10 potential sources of information on that.
11

12 But it's striking that these agreements which are subject
13 to periodic re-negotiation have remained quite stable with
14 some adjustments in shares or circumstances have changed,
15 but they represent the arrival of an agreement of two
16 parties that have -- it's in their mutual interest to get
17 together and build a common pole.

18 And the shares that result from this are not the shares
19 that would be predicted by the relative use model but they
20 are within the range of the three benchmarks that we have
21 suggested come from the economic study of co-operative
22 behaviour, co-operative game theory.

23 So looked at again from that perspective, the relative use
24 approach, if applied to joint use poles, would not pass a
25 fairness test. It would undercharge an attacher

2 who uses dedicated space but has the same requirements for the
3 buried clearance and separation space as a power or
4 telecom user. It doesn't satisfy the benchmarks that we
5 have derived from a co-operative game theory and it
6 violates another test or criterion, one that was set out
7 by Steven Littlechild and Graham Thompson in a path-
8 breaking paperback in the 1970's. You may know Steven
9 Littlechild's name as later he was the regulator for
10 electric power in the United Kingdom.

11 And I will just move to the next slide to give you an
12 example of how he applied that. This was in the case of
13 runways and the question was how to charge different
14 aircraft for use of a common runway, or I guess probably a
15 pair of runways in that airport. Aircraft have differing
16 requirements for take-off and landing, both length, but
17 also the strength and turning radius and so on, but for
18 simplification we can simply think just of length here as
19 the important differentiating factor, a small, medium and
20 large aircraft requiring 30, 40 or 44 total units of
21 runway. If we think of cost being disproportionate to
22 length in that case we have a situation where all three
23 types of aircraft need the first segment and if we share
24 those costs equally each would pay ten for the segment
25 number one. That's sufficient for plane A to take off and

1
2 land. So only planes B and C need to share segment two. And
3 if they divide the cost of ten equally that's another
4 five. And finally there is an incremental cost for C
5 because it's the only plane that uses the longest portion
6 of the runway with a cost of four.

7 And so that leads to the charges or the allocation of
8 those costs of ten, 15 and 19, very readily derived, and I
9 think totally -- you know, consistent with our common
10 sense of how sharing would fairly apportion -- apportion
11 these costs.

12 Now in actuality Littlechild and Graham have actually
13 looked at what runway fees were charged and how they were
14 revised in this setting, and there is quite a good
15 correspondence between the very boiled down ideas here and
16 the actual fees that take into account not only length but
17 the strength of the runways, the turning spaces that are
18 needed on the taxiways, and so on.

19 And he then stated this criterion as a way to think about
20 fairness in this sort of example. The amount by which the
21 charge a larger aircraft -- the charge to a larger
22 aircraft exceeds that for a smaller one so the difference
23 in charges does not exceed the difference in costs of
24 providing for the two types of aircraft. So that leads to
25 the principle that if two craft have equal costs

2 they should be charged the same and if they differ the
3 difference in their charges should not be greater than the
4 difference in their costs. If we look at our example the
5 difference between B and A, a charge of 15 versus ten,
6 leads to a \$5 or five unit difference in fees, and the
7 cost difference there was ten, 40 versus 30. So the
8 criterion is satisfied comparing B to A. And if we
9 compare B and C in that case the additional fee is four
10 and the additional cost would also be four. So those two
11 types of aircraft also satisfy it.

12 So this is a relative use/relative benefit sort of
13 fairness criterion as well. And it's an additional point
14 of reference that we can use to examine whether cost
15 allocations appear to be fair.

16 Let me turn to some of the other points made in Professor
17 Ware's commentary.

18 Essential facilities. This analysis in my opinion simply
19 does not apply to joint use poles. Now as a beginning
20 matter there is at least a little dispute about whether
21 joint use poles are essential facilities. The CRTC did
22 not classify them as such. The Ontario regulator did.
23 But in any case that's really sort of beside the point
24 here because the relevance of essential facilities in
25 terms of pricing analysis occurs when there is

2 competition with the incumbent who owns the essential
3 facility, and the issue becomes can a competitor get
4 access to that facility in order to compete or compete
5 more effectively with the incumbent? But of course we
6 don't have competition between cable and the power company
7 and that type of access requirement. Access pricing
8 requirement doesn't arise. Cable attachment rates that
9 are set out as being preferential would then favour the
10 cable company in its competition with the other party, the
11 telecom company. So there would definitely be an issue of
12 favouritism rather than neutrality in the rates if
13 relative use rates were to be established.

14 And finally as I think discussion has already indicated
15 rate adjustments -- or the rates that are finally set in
16 this proceeding will be taking into account in your
17 overall proceeding about setting rates for Disco. And so
18 there is not an issue of needing to limit pole charges to
19 one or another rate in order to prevent Disco from over-
20 recovering the total amount of cost.

21 Another point of contention is whether there is some
22 difference that is material for joint poles with regard to
23 whether the sharing is analyzed before the poles are
24 constructed and attached to or only after the fact.

25 Joint use poles have been constructed as we have heard

2 to accommodate telecom cable and other communications
3 attachers to standards that are expressly set out in order
4 to accommodate sharing.

5 Replacement of poles and new installation of poles
6 continues on a regular basis. So this is not simply a
7 question of looking at the past of once for all decision.

8 There is new investment occurring.

9 And again if the price of access to the pole
10 infrastructure were to be discounted for one attacher it
11 would be doing so because he comes last, and being the
12 latecomer is hardly a justification in terms of providing
13 fair sharing among the parties to the pole.

14 You might ask the same question about the aircraft
15 example, right. The aircrafts come along long after the
16 airport is built, but we don't say that we throw out
17 fairness analysis because they weren't there at the
18 beginning to decide how long the runway should be and what
19 share they should be paying. They pay for take-offs and
20 landings according to these basic principles.

21 Or the new town that comes in and hooks up to a water
22 system after the system is already built and it just needs
23 an extension of the pipeline. We don't consider it fair
24 to charge them only for the extension and to have no
25 sharing of the common costs.

2 Now, I suggest that the difference in treatment in the
3 telecom sector in North America is really accounted for by
4 policy and not economics. In the United States that's
5 quite explicit. The original legislation on attachments
6 like cable television to utility poles was expressly
7 designated as a way of keeping cost load to encourage the
8 development of the cable television industry. And in 1996
9 in our major restructuring of local telecommunication
10 services, the 1996 Telecom Act, the entire act was
11 designed with the intention of promoting competition in
12 local telephone service and established maximum rates for
13 federally regulated poles.

14 In Canada there is not this explicit representation of
15 that purpose. But rates for attachments to telephone
16 poles are regulated by the telecom regulator and that
17 regulator uses a relative use model for other network
18 facilities where common costs vary with use, as I
19 suggested for example -- the example of the local telecom
20 switch.

21 So I think this may in conjunction with the policy of
22 promoting competition more generally be one explanation
23 for the methodology that that regulator has adopted.

24 Let me try to sum up. First in terms of cost causation.
25 Each attacher to the pole is responsible for

2 causing all the common costs of the underground clearance
3 separation spaces. And each attacher individually causes
4 the direct cost of its own dedicated space and fixtures.
5 And second, the cost allocation benchmarks that we
6 attempted to put into everyday language that derived from
7 economic theory reject -- simply do not match up with the
8 usable pole space type of allocation because of this basic
9 structure of the cost of fixed common costs in the joint
10 pole. Those benchmarks yield a range of fair shares, not
11 a single number of total pole costs, and that range -- the
12 methodology that that range produces -- the methodology
13 which produces that range is validated by extensive
14 decades long experience in markets in which there is
15 active bargaining and re-bargaining about these very
16 resources, attachments to joint use poles.

17 This representation of pole costs accurately characterizes
18 then the cost structure of poles. As I said it's
19 consistent with the economic theory of co-operative
20 behaviour and it closely predicts the outcome of economic
21 bargaining.

22 This is about a strong a test as you can get of economic
23 propositions in science. You start with the theory, you
24 test it against experience and you cross-check the two.
25 And when you have it in the very industries and

1 - 3211 - Dr. Mitchell - Direct -

2 the resources which are being -- you are being asked to apply
3 the methodology to, I think you should consider it very
4 carefully as compelling evidence for the basic approach of
5 analyzing cost allocation.

6 Thank you.

7 MR. RUBY: Thank you, Dr. Mitchell. Mr. Chairman, the
8 witness is now available for cross examination.

9 CHAIRMAN: We will take probably a 10-minute break. We may
10 well go to quarter after today.

11 MS. MILTON: All right.

12 (Recess - 2:40 p.m. - 2:50 p.m.)

13 CHAIRMAN: Go ahead, Ms. Milton.

14 CROSS EXAMINATION BY MS. MILTON:

15 MS. MILTON: Thank you, Mr. Chair. Just before I get
16 started, I wanted to flag that there is a timing issue
17 that has arisen now. It certainly was not our expectation
18 that the direct examination of the two Disco witnesses
19 would be so long.

20 And it is looking like my cross examination of Dr.
21 Mitchell is going to go well into tomorrow. And I can't
22 judge at this point just how much of tomorrow. But I can
23 certainly say it will go well into tomorrow.

24 So there is a concern. And I have talked with Mr. Ruby.

25 And we will be caucusing with Mr. Hashey after this

2 session completes today. And we will have to discuss a
3 possible planning proposal.

4 CHAIRMAN: Well, with frankness, you might as well have that
5 now. I'm afraid that the hearing days are pretty well set
6 in stone now.

7 MS. MILTON: I agree, sir. It certainly was never my
8 expectation that we would have this long in direct. I had
9 assumed --

10 CHAIRMAN: Well, in all fairness to both parties, we have to
11 give you the time it takes to do your job.

12 MS. MILTON: Agreed, sir.

13 CHAIRMAN: And that is what we have done. Now we reconvene
14 on what is it, Mr. Hashey, February 3rd?

15 MR. HASHEY: 6th.

16 CHAIRMAN: 6th? Okay.

17 MS. MILTON: Unfortunately I cannot be here that week. I
18 have a court commitment.

19 CHAIRMAN: Well, okay. You -- I will ask counsel to get
20 together after we rise today and see when the next time we
21 can get together is.

22 I don't think -- our hands are tied. There are too many
23 parties. There are too many support staff. And the Board
24 also has other business.

25 MS. MILTON: I understand.

2 \ CHAIRMAN: Okay.

3 MR. RUBY: Mr. Chairman, for our part, we would like to get
4 this done as quickly as possible obviously. And we will
5 make whatever effort we can to have a proposal to you
6 tomorrow, for at least something, that accommodates the
7 rest of the hearing.

8 CHAIRMAN: Okay. Go ahead, Ms. Milton.

9 Q.15 - All right. Dr. Mitchell, I understand that your expert
10 report that was filed in this case as well as the
11 presentation that you have given to us today was authored
12 by both you and Dr. Yatchew, is that correct?

13 A. It is.

14 Q.16 - Can you explain to us what the role was that Dr.
15 Yatchew played in the report and the presentation?

16 A. We effectively did this jointly from beginning to end
17 except for the presentation here today.

18 Q.17 - All right. So all of it was -- it was all written by
19 both of you, is what you are saying?

20 A. That's correct.

21 Q.18 - All right. Because obviously Dr. Yatchew isn't here to
22 testify, correct?

23 A. I think that's correct.

24 Q.19 - All right. Hopefully I can start out with some simple
25 stuff.

2 Are you aware of any areas of New Brunswick where there is
3 a duplicate pole line?

4 A. No.

5 Q.20 - So given that, is there competition in the supply of
6 pole space in New Brunswick?

7 A. There may be competition in the potential for supply of
8 pole space.

9 Q.21 - All right. Well, if it is not possible for Rogers to
10 get approval or for Aliant to get approval or anyone else
11 to get approval to build a duplicate pole line, would
12 there be competition in the supply of pole space?

13 A. If regulations did not allow more than one pole there
14 would not be competition.

15 Q.22 - All right. And would you agree with me that in that
16 circumstance the pole owner would have market power?

17 A. With regard to attachments?

18 Q.23 - Yes.

19 A. Yes, I would.

20 Q.24 - Would you agree with me that in a perfectly competitive
21 market, basic economics would suggest that price equals
22 marginal or incremental cost?

23 A. In a perfectly competitive market --

24 Q.25 - Yes.

25 A. -- prices would be driven to marginal cost. Although

2 observed at any moment in time it wouldn't necessarily equal
3 marginal cost.

4 Q.26 - All right. Yes. We are talking about theory right now
5 I understand.

6 Would you agree with me that the incremental cost to Disco
7 of Rogers' use of its pole is the total cost of the pole
8 with Rogers less the cost of the Disco Aliant pole?

9 A. Could you repeat the question please?

10 Q.27 - Would you agree with me that the incremental cost to
11 Disco of Rogers' use of a pole is the total cost to Disco
12 of the pole with Rogers less the cost of an Aliant and
13 Disco pole?

14 Perhaps I can help you. Could we go to your evidence? So
15 A-64, page 21. And at line 38 you begin.

16 A. Yes. I have 38.

17 Q.28 - And it reads, the incremental costs of a distributor
18 are measured by the increase in the total costs of the
19 shared support structure when that distributor is added to
20 the facility. Now if we turn the page, when there are two
21 distributors, electricity and cable, the cable
22 distributor's incremental cost is the total cost of the
23 structure that serves both electricity and cable
24 distributors less the cost of the structure needed solely
25 for electricity.

2 And then you continue to the three party example and you
3 say, with three distributors the incremental cost of e.g.
4 the cable distributor is the total cost of the structure
5 shared by all three distributors less the cost of a
6 structure needed for just the two other distributors?

7 A. Yes.

8 Q.29 - Yes. Would you agree with me that common costs are
9 costs that are common to a group of customers?

10 A. You are applying this to poles?

11 Q.30 - I'm just asking generally, common costs would be costs
12 that are common to a group of customers -- yes, group of
13 customers. We are in a regulated context here, so we are
14 talking about setting a rate. So just thinking generally
15 what common costs would be. They would be costs that are
16 shared by a number of different customers or, if you
17 prefer, by a number of different services?

18 A. Well I think the general thrust to that remark is correct.
19 We would want to be specific about who the customers are
20 or what the products are.

21 Q.31 - Agreed. So the common costs would vary depending on
22 what you are looking at, so I'm just looking at the
23 general contract.

24 A. Yes.

25 Q.32 - So these are costs that are incurred for all these

2 users and that cannot be attributed to a specific one of those
3 users, is that correct?

4 A. Yes. I'm pausing because costs may be common to some but
5 not all users in a particular example.

6 Q.33 - Okay. So we assume that they are common to all the
7 users that we are talking about?

8 A. Yes. If costs are common to all users then they would not
9 be attributed to any one user.

10 Q.34 - All right. Now could you define for us what you mean
11 by the term fully distributed costs?

12 A. Well in the most wide definition of fully distributed
13 costs, this would be taking the total costs of the
14 activity and distributing them -- those costs among
15 several customers or applications, so that when all of the
16 parts that are distributed are added up they total exactly
17 the total costs. They are fully distributed.

18 Q.35 - So would you agree with me that the proportionate use
19 model that the CRTC has used and that Rogers has proposed
20 in this proceeding is a fully distributed cost model?

21 A. I believe within the parameters we are discussing this at
22 that probably is correct.

23 Q.36 - Well under the proposal all of the costs are allocated,
24 are they not?

25 A. Yes. I think there is at some point some dispute as

2 to what the total costs are, but accepting that there is
3 agreement on what the total costs are, those methodologies
4 would distribute that total cost fully.

5 Q.37 - Yes. And my understanding was if I had cost issues I
6 directed them to Mr. O'Hara, so I am focusing with you on
7 the theory and particularly the theoretical issues that
8 you have introduced in your expert evidence. So if I am
9 not clear on that that is my intention.

10 Would you agree with me, Dr. Mitchell, that a pole rental
11 rate is efficient in economic terms if the rate covers all
12 the incremental costs to the pole owner of renting space
13 to the tenant?

14 A. Well the costs of renting space to the tenant should
15 include all of the costs of providing that additional
16 capacity and service.

17 Q.38 - But I'm talking here about economic efficiency and I'm
18 asking you if you would agree with that principle that if
19 the rate covers incremental costs the rate is in economic
20 terms efficient? Perhaps I could help you again. We
21 could go to page 23 of your evidence. I wasn't
22 anticipating that this was controversial. Line 24.

23 A. I have line 24.

24 Q.39 - And you have the paragraph that begins, however,
25 requiring subsidy free attachment rates that each

2 distributor pay at least its incremental costs will not be
3 sufficient to determine a unique set of rates. In most
4 cases there are many alternative ways that the common
5 costs can be shared while encouraging efficient use of
6 resources.

7 My understanding is that the efficiency requirement is met
8 by covering incremental costs. There may be other
9 requirements and I understand we are going to get to
10 those, particularly the fairness requirement. But the
11 efficiency requirement is satisfied in economic terms when
12 the rate covers incremental costs?

13 A. As I have used the concept of efficiency in this
14 presentation, yes.

15 Q.40 - Thank you. Are you aware that Disco has an obligation
16 to provide electricity service throughout New Brunswick
17 and accordingly must have a ubiquitous pole network
18 throughout the province?

19 A. I am generally aware of its service requirements.

20 Q.41 - And I believe you recognize in your evidence, in fact
21 you rely on it quite heavily, that Disco has a joint use
22 arrangement with Aliant whereby in return for providing
23 Aliant with access to communication space on Disco poles
24 Disco has access to the power space on Aliant poles?

25 A. Yes.

2 Q.42 - Are you aware that in order to accommodate Aliant on
3 its poles under the joint use agreement Disco joint use
4 distribution poles have always included two feet of
5 communication space plus a separation space?

6 A. Yes. That was my understanding of the testimony yesterday
7 and today.

8 Q.43 - Are you aware that there is no change in the
9 communication space or the separation space if a third
10 party tenant uses the pole?

11 A. Provided that tenant can be accommodated in the two feet
12 of space, yes.

13 Q.44 - Agreed. There is no additional capital cost to Disco
14 associated with Rogers use of Disco's joint use poles,
15 would you agree with that?

16 A. By in large, yes, within the context we are discussing
17 this.

18 Q.45 - All right. Now if we go back to the CRTC model and the
19 Rogers model that we have put forward in this proceeding,
20 that model proposes that the pole rental rate be set to
21 cover all incremental costs to Disco and pay a
22 contribution to pay Disco's capital cost of a pole, would
23 you agree with that?

24 A. This is Rogers' proposal?

25 Q.46 - That's correct.

2 A. That's my understanding, yes.

3 Q.47 - So would you agree with me that that methodology
4 satisfies the economic efficiency requirement, and that it
5 would be covering all incremental costs?

6 A. Yes. If it covers all incremental costs it would satisfy
7 that criterion.

8 Q.48 - So it does not give rise to any inefficiency?

9 A. Again within the context that you have set this discussion
10 it does not.

11 Q.49 - All right. So the issue is not so much that the
12 approach proposed by Rogers results in inefficiencies, but
13 rather that you believe that the approach is not fair,
14 would that be a correct statement?

15 A. Counsellor, I'm pausing because I frankly don't understand
16 how Rogers' proposal and Mr. Ford's analysis of a subsidy-
17 free rate match up, and I would not consider Mr. Ford's
18 proposal of additional costs of just administration and
19 loss in productivity as being efficient.

20 Q.50 - Well the evidence -- Mr. Ford's evidence has proposed
21 in very general terms that the rates should recover the
22 incremental costs to Disco of renting the space plus pay a
23 contribution to the common costs, and those would be the
24 capital costs of the pole, as well as some productivity
25 and annual maintenance costs. So given that would you

2 agree that the issue is not efficiency but rather it's this
3 fairness concept? And I believe your slides emphasize
4 this.

5 A. I don't disagree with the emphasis, I disagree with Mr.
6 Ford's analysis.

7 Q.51 - But I am talking about economic principles here. I am
8 asking you --

9 A. And I am talking about the definition of incremental cost.

10 Q.52 - Well, I'm talking to you about if a rate proposal
11 covers incremental costs plus makes a contribution to
12 common costs, would that rate be efficient in economic
13 terms?

14 A. If it covers incremental costs as I have defined it.

15 Q.53 - All right. So the issue then is really one of
16 fairness. Would that be correct? And fairness in terms
17 of how you allocate the common costs?

18 A. If you are accepting your premise that incremental costs
19 are covered by the proposal, then the remaining issue is
20 fairness.

21 Q.54 - I think this is illustrated by your third slide. You
22 have three headers, Efficiency, Incentives, and then
23 Fairness. And under Incentives you have each user pays at
24 least its incremental cost. And that is the economic

2 requirement of efficiency.

3 And then you have no user pays more than its stand-alone
4 cost. And that would be the requirement to induce
5 participation in the joint resource.

6 So the remaining issue then is a fairness issue. Would
7 you agree with that?

8 A. If the efficiency and incentive standards are satisfied by
9 the proposal, yes --

10 Q.55 - All right.

11 A. -- the remaining issue is fairness.

12 Q.56 - Is fairness an economic concept?

13 A. Yes.

14 Q.57 - It is?

15 A. Yes. I have given extensive references to the economic
16 literature.

17 Q.58 - So in your view economics has expertise on fairness?

18 A. Yes.

19 Q.59 - What role does philosophy play?

20 A. The philosophical principles are introduced into
21 discussions about fairness.

22 Q.60 - And then economics takes over?

23 A. Well, in broad terms assessing fairness is a matter of
24 bringing value judgments to a particular application.

25 Q.61 - And where do those value judgments come from? Do they

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

come from economics?

A. Ultimately they come from the observer who looks at the situation and examines the science and the philosophy and whatever other information he can bring to bear on the question and makes a judgment.

Economics is an important contributor to reaching a reasoned judgment about that. But it's not to the exclusion of common sense and experience and philosophy.

Q.62 - Would you agree with me that economics takes rules of fairness and then applies them, using economic analysis, to get an economic solution?

A. Could I have that question again, please?

Q.63 - Would you agree with me that economics takes principles of fairness, perhaps from game theory, perhaps from philosophical theories, uses those theories, applies them to an economic question and gets an economic answer?

A. Yes. It may not get a unique answer in a particular application.

Q.64 - That is fair.

MS. MILTON: I'm about to head into a new line of questioning. How long did you want to sit, Mr. Chairman?

CHAIRMAN: How long is the new line of questioning, madam?

MS. MILTON: Well, my questions are --

CHAIRMAN: You knew I would come back with that.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15

MS. MILTON: -- they are taking a lot longer than I
expected.

CHAIRMAN: Yes.

MS. MILTON: It would be at least 15 minutes.

CHAIRMAN: We will break until tomorrow morning then at
9:15.

(Adjourned)

Certified to be a true transcript
of the hearing, as recorded by me
to the best of my ability.

Reporter